

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

FUTUREGEN 2.0 PROGRAM
PUBLIC SCOPING MEETING

JACKSONVILLE, ILLINOIS

JUNE 9, 2011

1		I N D E X	
2	MAIN SPEAKERS:		PAGE
3	Cliff Whyte		5
4	Jeff Hoffmann		11
5	Mike Long		16
6	Ken Humphreys		20
7	Cliff Whyte		31
8	PUBLIC:		
9	Brad Zeller		37
10	Kelly Hall		39
11	Andy Davenport		40/98
12	David Davenport		49
13	Jeffrey Niemann		56
14	Elizabeth Niemann		62
15	Richard Johnson		68
16	William Hawks		69
17	Catherine Edmiston		72
18	Patty Rykhus		77/101
19	Alan Rider		82
20	Reginald Jordan		84/99
21	Joyce Blumenshine		86
22	Terry Denison		91
23	Ginny Fanning		95
24			

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

FUTUREGEN 2.0 PROGRAM
PUBLIC SCOPING MEETING

JACKSONVILLE, ILLINOIS

JUNE 9, 2011

PUBLIC SCOPING MEETING, on the 9th day of
June, 2011, between the hours of 5:00 P.M. and 9:30
P.M. of that day, at the Jacksonville Elks Lodge, 231
West Morgan Street, Jacksonville, Illinois 62650,
before Robin A. Enstrom, Registered Professional
Reporter, Certified Shorthand Reporter, and a Notary
Public within and for the State of Illinois.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

A P P E A R A N C E S

UNITED STATES DEPARTMENT OF ENERGY:
Mr. Cliff Whyte
Mr. Jeff Hoffmann
Mr. Tom Sarkus
Mr. Nelson Rekos

AMEREN ENERGY RESOURCES:
Mr. Mike Long
Mr. Steve Whitworth
Mr. Mitch White

FUTUREGEN ALLIANCE:
Mr. Ken Humphreys
Mr. Gordon Beeman
Ms. Gretchen Hund

POTOMAC HUDSON ENGINEERING:
Mr. Fred Carey
Ms. Cynthia Ong
Ms. Andrea Wilkes
Ms. Amanda Tyrrell

Court Reporter:
Robin A. Enstrom, RPR, CSR
Illinois CSR #084-002046
Midwest Litigation Services
15 S. Old State Capitol Plaza
Springfield, Illinois 62701
217.522.2211
800.280.3376

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

* * * * *

(Meeting commenced at 7:00 P.M.)

MR. WHYTE: welcome to the Department of Energy public scoping meeting for FutureGen 2.0.

My name is Cliff whyte, and I am a NEPA compliance officer with the Department of Energy out of Morgantown, West Virginia.

Let the record show that the meeting began on June 9, 2011, at 7:03 P.M., at the Jacksonville Elks Club, in Jacksonville, Illinois.

First, I'd like to thank the club for allowing us to use this venue this evening, and, of course, I'd like to thank all those who are in attendance tonight.

As part of its compliance with the National Environmental Policy Act, DOE has determined that an environmental impact statement or EIS, as you'll hear it referred to, should be prepared for this project. The EIS will analyze and describe the potential environmental impacts of the proposed project and project alternatives.

Let me be clear that this is a scoping meeting for FutureGen 2.0. FutureGen 2.0 is not the same project considered under the initial FutureGen

1 although it shares several concepts such as carbon
2 capture and storage. In addition DOE has or is
3 considering approving other projects in the area, such
4 as the Taylorville Energy Center, and these projects
5 are not part of or related to the FutureGen 2.0
6 program.

7 One of the first steps in preparing an EIS
8 is to conduct a public scoping meeting. A public
9 scoping meeting is an opportunity for the public to
10 participate in the evaluation of possible
11 environmental impacts that are associated with the
12 proposed project. It's also an opportunity for the
13 Department of Energy to listen to your concerns about
14 the proposed project -- whether they be environmental
15 issues, economic impacts, social matters, health and
16 safety concerns. The goal is, when we leave here this
17 evening, to determine what are the major issues that
18 are on the mind of the public. Our goal is also to
19 determine what major topics we need to cover in the
20 environmental impact statement.

21 For your convenience, there are comment
22 sheets also available where you signed in this
23 evening. These can be used to provide written
24 comments. You'll also find that there is an

1 opportunity on there to mark if you would like to
2 receive a copy of the draft environmental impact
3 statement -- be that hard copy, on CD, or via e-mail a
4 link to the website where it will be posted.

5 During the informal session tonight, DOE
6 and several of the contractors and project
7 representatives -- we were quite busy this evening,
8 and that's a good thing. We appreciate the turnout
9 this evening. Got to meet a lot of new folks this
10 evening that I hadn't had the opportunity to speak to
11 before and got to hear a lot from you, and that was
12 informative for me. And I appreciate those who took
13 the time to come to the -- or were able to come to the
14 informal portion of the program. We'll continue to do
15 that after the formal portion this evening as long as
16 time allows.

17 During the formal session tonight, we're
18 going to give some history of the FutureGen project.
19 Also, Ameren Energy Resources and the FutureGen
20 Alliance will each give brief presentations or an
21 overview about their project. I'll give a little bit
22 of background on the National Environmental Policy Act
23 and talk a little bit about the anticipated schedule
24 for the NEPA process.

1 At that point we will begin the formal
2 comment session, and we will have a couple of elected
3 officials who have asked to speak this evening, and
4 then we'll go down those -- a list of those who
5 preregistered to speak this evening, and then there
6 was a list in the back there of folks who signed up to
7 speak as they came in this evening. And, finally,
8 I'll ask if anybody who didn't sign up on any list has
9 anything they'd like to say this evening or if we have
10 any repeat speakers who would like to come back up.

11 So we're going to try to limit those
12 comments to five minutes in duration because it looks
13 like we are going to have a number of folks. But
14 whether they be written comments that are turned in,
15 oral comments that are spoken here this evening,
16 faxes, e-mails, what have you -- they count the same
17 in the administrative record. And my contact
18 information is on those comment sheets.

19 The public scoping period will last
20 through June 22nd, which is a Wednesday, not quite two
21 weeks from now. So if -- even if you submit comments
22 this evening and you think of something later you'd
23 like to add, you're welcome to do so. That comment
24 period will be open for at least two weeks, and DOE

1 will, to the extent we can, accept late comments. So
2 when you get them in, we'll do our best to incorporate
3 those if practical.

4 This evening I would like to recognize a
5 few folks who we have with us. I understand Bill
6 Meier is here this evening, Dick Rawlings, and Brad
7 Zeller, the county board chair. I understand we have
8 Mr. Kelly Hall, who is going to represent the mayor of
9 Jacksonville this evening. Ginny Fanning, the
10 executive director of the Jacksonville Area Chamber,
11 and Terry Denison from the Jacksonville Regional EDC
12 is with us this evening. So thank those folks for
13 being here.

14 Also like to introduce to you a few folks
15 from the FutureGen 2.0 team. Representing the
16 Department of Energy, the gentleman on the end is
17 Mr. Tom Sarkus. He is a division director with the
18 Department of Energy. Seated next to him is Jeff
19 Hoffmann. He's a project manager with the Department
20 of Energy. Mr. Nelson Rekos is seated over here.
21 He's also a project manager with the Department of
22 Energy.

23 With Ameren Energy Resources we have Mike
24 Long, who is the plant manager; Steve Whitworth,

1 manager of the environmental services; and Mitch
2 white, the plant technical services supervisor.

3 with the FutureGen Alliance we have Ken
4 Humphreys. We also have Gordon Beeman, and Gretchen
5 Hund, who is the stakeholder involvement manager.

6 And I'd also like to take this opportunity
7 to thank the different state agencies that are
8 represented here this evening, especially Sallie
9 Greenberg in the back there with the State of Illinois
10 Geological Survey. She does a lot of hard work in
11 setting up these models and talking the folks through
12 to give you an idea of carbon sequestration, and we
13 appreciate that.

14 Also this evening, the folks that are sort
15 of running the logistics for this meeting, Potomac-
16 Hudson Engineering. They're a contractor that DOE has
17 retained to write the environmental impact statement
18 at our direction. We have actually the president of
19 Potomac-Hudson Engineering, Fred Carey, with us this
20 evening. He's being assisted by Cynthia Ong, Andrea
21 Wilkes in the back when you came in, and Amanda
22 Tyrrell. Those folks do a great job.

23 with that I think it's time for us to get
24 on to the formal presentations. The first one will be

1 DOE's role and some background information from Jeff
2 Hoffmann.

3 MR. HOFFMANN: I'd like to start -- can
4 everybody hear me in the room? Okay. I'd like to
5 start by giving a very brief overview of what
6 FutureGen 2.0 is.

7 The U.S. Department of Energy has awarded
8 \$1.05 billion to the two primary recipients. The
9 partnership of Ameren, Babcock and Wilcox, and
10 American Air Liquide have been awarded \$590 million to
11 test an oxy-combustion technology at utility-scale
12 Meredosia, Illinois.

13 The FutureGen Industrial Alliance has been
14 awarded approximately \$460 million to develop a
15 pipeline and sequestration infrastructure as well as
16 visitor/training/educational facilities.

17 The FutureGen 2.0 project is a
18 government-industry partnership with the industry
19 partners bringing cost share, and the total project
20 cost -- or total project value approximately \$1.3
21 billion.

22 The primary objectives of FutureGen 2.0
23 are to validate the technical feasibility and economic
24 viability of near-zero emission energy from coal.

1 It's also to verify the effectiveness, safety, and
2 permanence of CO2 sequestered in deep saline
3 formations.

4 COURT REPORTER: Excuse me. You need to
5 slow down.

6 MR. HOFFMANN: Sorry. You're not the
7 first one.

8 COURT REPORTER: I know.

9 MR. HOFFMANN: It also intends to
10 establish the standardized technologies and protocols
11 for CO2 measurement, verification, and accounting,
12 typically referred to as MVA.

13 And important also is to gain domestic and
14 global acceptance of the FutureGen 2.0 concept,
15 facilitating broad deployment of the oxy-combustion
16 technology coupled with CCS.

17 This slide here illustrates the Department
18 of Energy's major demonstrations program. The
19 Department of Energy, for the past two and a half
20 decades, has been doing similar types of demonstration
21 projects and test projects, developing and
22 demonstrating large-scale clean coal technologies on a
23 utility -- on the utility scale, for example, 100
24 megawatts and larger. This program has facilitated

1 moving technology from pre-commercial development to
2 wide-scale commercial deployment. We view FutureGen
3 2.0 to fit near the tip of this arrow, testing and
4 evaluating a technology that is suitable both for
5 application in the large existing fleet of coal-fired
6 boilers and other steam-based electricity generation,
7 as well as an attractive option for new plants to be
8 built to provide electricity into the future.

9 This slide represents a number of the
10 projects that are currently being funded out of NETL.
11 What this slide illustrates is approximately seven to
12 eight projects that are large scale and are evaluating
13 carbon capture and sequestration both on power plants
14 as well as industrial plants. The projects that are
15 being managed out of DOE and NETL represent a variety
16 of technology, including IGCC or integrated
17 gasification combined cycle, the technology that would
18 have been used at FutureGen in Mattoon had it gone to
19 completion, as well as post combustion capture, and
20 FutureGen 2.0 is the only oxy-combustion capture in
21 the portfolio.

22 I'd also like to point out that of the
23 projects depicted here, the majority of them are
24 evaluating carbon capture and sequestration in

1 depleted oil fields for enhanced oil recovery. The
2 three projects highlighted, including FutureGen 2.0,
3 are plans to evaluate carbon capture and sequestration
4 in deep saline formations.

5 A very high overview of what carbon
6 sequestration is. Carbon sequestration is basically
7 taking carbon dioxide either out of the air, as in
8 terrestrial sequestration where CO₂ is absorbed from
9 the air by plants/animals and incorporated into the
10 biomass, which the incorporation in the biomass is
11 known as terrestrial storage, or point source capture,
12 such as capture that we're trying to test and evaluate
13 at the Ameren plant, the power plant capturing the CO₂
14 and transporting it to sequestration. That point
15 source capture can also be conducted at ethanol plants
16 and other plants and industries that have a high CO₂
17 footprint.

18 The geologic storage can be stored in
19 saline formations, as we're attempting to do here in
20 FutureGen 2.0, or depleted oil and gas wells, as I had
21 mentioned previously, as well as other formations such
22 as unmineable coal seams, basalts, and shales.

23 I'd like to emphasize storage in saline
24 formations. This slide here represents some estimates

1 out of the National Carbon Sequestration Atlas that's
2 produced by NETL as well as some of their partners.
3 what this slide illustrates is that of the three
4 primary formations where CO2 can be stored, including
5 oil and gas fields, saline formations, and unmineable
6 coal seams, saline formations have the greatest
7 storage potential. At least in order of magnitude,
8 greater than the oil and gas fields and unmineable
9 coal seams combined.

10 I'd also like to point to the figure in
11 the middle -- saline formations with the blue
12 distribution -- to illustrate that, of the three
13 primary formations, saline formations have the
14 broadest distribution and offer one of the closest CO2
15 sinks for the existing fleet.

16 I'll close with a slide that talks a
17 little bit about the history of the FutureGen program.
18 FutureGen was originally conceived in the early part
19 of the last decade. It was officially kicked off with
20 March 2004 report to Congress which depicted and
21 described an integrated research initiative with the
22 objective to establish the feasibility and viability
23 of producing electricity from coal with near-zero
24 emissions.

1 As most of you are probably aware, the
2 original FutureGen had progressed down a pathway, and
3 the FutureGen Alliance had selected Mattoon, Illinois,
4 as the location for the original FutureGen which would
5 have been an IGCC coupled with CCS sequestering CO2 in
6 the Mt. Simon formation in that area of the state. In
7 August of 2010, Secretary Chu announced FutureGen 2.0
8 as an alternative approach to achieving near-zero
9 emissions with a -- near-zero emission electricity --
10 electric power from coal, again coupled with CCS and
11 again sequestering it in the Mt. Simon formation.

12 The point that I'd like to raise here is
13 that, while the technology on the power plant side has
14 changed from FutureGen 2.0 -- the original FutureGen,
15 the goals and the objectives remain the same: to,
16 again, develop and prove the technology, a clean coal
17 near-zero emission technology with carbon capture and
18 sequestration.

19 And with that, I'd like to introduce Mike
20 Long to describe the Ameren project.

21 MR. LONG: Good evening. My name is Mike
22 Long, as Jeff said, and I'm the manager of the
23 Meredosia station. Tonight what I'd like to do is
24 provide you with an overview of Ameren Energy

1 Resources, who we are; an overview of the Meredosia
2 project; and description of oxy-combustion technology.

3 You're all probably aware of Ameren.

4 Ameren is a corporation that within it has three
5 companies: Ameren Missouri, Ameren Illinois, and
6 Ameren Energy Resources. Ameren Energy Resources as a
7 company had -- is a merchant -- has a merchant fleet
8 of power stations. What that means is that we sell
9 our power to the open non-regulated market.

10 We have 6,250 megawatts of generation
11 capacity, and last year we produced just shy of 30
12 terawatt hours of electric production. Our markets
13 are to municipals, cooperatives, power marketers and
14 the like, and that is taken care of for us by another
15 company within AER called Ameren Energy Marketing, and
16 they are responsible for taking the energy that
17 Meredosia produces and selling it to the open market.

18 The project team: Of course, Ameren
19 Energy Resources, as being the owner/operator of
20 Meredosia, is a part of the team. Babcock and Wilcox
21 are responsible for the boiler island and the gas
22 quality control system. Air Liquide, the air
23 separation unit and compression purification unit; and
24 URS, which was hired by Ameren to be responsible for

1 the balance of plant and an interconnection of the new
2 facility to that.

3 Now, when I mention "balance the plant,"
4 what that basically means is, in this project, the
5 existing turbine generator and the systems that
6 support that generator will remain. So that's
7 referred to as balance of plant, and the new boiler
8 and associated equipment with their separation unit
9 and gas quality control system will be added to that.

10 Okay. If you look at Meredosia itself, if
11 you look at the picture, the tall stack on the left
12 part of the picture here -- that is associated with
13 units one and two. The fuel of units one and two is
14 coal. There's another stack on top of the building
15 right there. That is unit three. It is currently
16 operating, and its main fuel is coal as well. I don't
17 know if I mentioned, but the operation of units one
18 and two is currently suspended.

19 The unit that we're interested in is unit
20 four, and it is located in the yellow triangle area.
21 Unit four was built in 1975. The slide says it's
22 currently idle. It is operational. It's primary fuel
23 is oil. As a result of that, it doesn't run a lot.
24 So what that means is it doesn't have a lot of

1 operating hours on it, which make it an ideal
2 candidate for this project. The turbine itself is in
3 very good shape. You kind of liken it to a car that
4 sits in the garage all week and you just take it out
5 on Sunday. That's a good analogy for this unit. It's
6 also a 200 megawatt unit, which is an appropriate
7 scale for the next step up in this technology.

8 Okay. So what is oxy-combustion?
9 Basically, the air that we breathe is approximately 80
10 percent nitrogen, 20 percent oxygen, and in the normal
11 combustion process, that air is used to combust fuel,
12 and the same volume of air that is used to combust
13 that fuel ends up as CO₂ and nitrogen.

14 In the oxy-combustion process, what we're
15 simply doing is removing the nitrogen from the air and
16 using the oxygen for the combustion, but as part of
17 that process, we have to recirculate some of the CO₂
18 back into the process to take up the volume that was
19 left by the nitrogen.

20 The plant configuration is basically in
21 three parts. The boiler island or power block is a
22 new oxy-combustion boiler and conventional
23 environmental cleanup equipment, which are -- would be
24 like a baghouse and a scrubber.

1 On the front end is the air separation
2 unit which separates the oxygen from the air that is
3 used for combustion in the boiler. The flue gas goes
4 through the environmental cleanup equipment. The CO₂
5 is then recycled back, as we mentioned in the last
6 slide, into the boiler for the combustion process.
7 And that small part of volume that is left, if you
8 recall from the last slide, has a highly concentrated
9 stream of CO₂. That is sent to the compression
10 purification unit where it's compressed and sent to
11 the pipeline for sequestration.

12 And I'd like to introduce Ken Humphreys
13 from FutureGen Alliance.

14 MR. HUMPHREYS: well, good evening,
15 everyone, and thanks very much for taking time away
16 from home to be here. I want to share a few thoughts
17 with you and then look forward to hearing what a
18 number of you have to say.

19 In terms of FutureGen 2.0, I am the CEO of
20 the FutureGen Alliance, and so I lead this consortium
21 of companies that have a strong interest in electric
22 power generation and specifically coal. Our ten
23 member companies produce about a third of the coal in
24 the United States. They are also global in scale.

1 The U.S.-based companies: Alpha, Consol, and Peabody.
2 Also participating in this project with us are
3 Caterpillar, who you know well. They are one of the
4 biggest mining equipment manufacturers in the world.
5 And Joy Global also an equipment manufacturer. Anglo
6 American is from South Africa. In the lower corner,
7 Xstrata is from Australia. Rio Tinto is from the UK,
8 and I think you know -- at least one of those
9 utilities -- Exelon quite well, and then also LG&E,
10 which stands for Louisville Gas and Electric.

11 Couple of things these companies have in
12 common is they feel the pressure of ever-tightening
13 environmental requirements. They know that there is
14 increasing concern about what should we do with carbon
15 dioxide that today is released freely into the
16 atmosphere, and they all believe that technology is an
17 important part of the solution to address both those
18 environmental issues and also keep electricity
19 affordable and available for homes and businesses, not
20 just in the U.S. but around the world.

21 A second thing that they all have in
22 common is they are contributing money to this project
23 to push the project and the technology forward. They
24 gain zero in the way of profits. They've foregone all

1 of that. They ask for no control over the technology.
2 They're doing it strictly from a strategic standpoint
3 that this is a novel kind of technology we need to
4 have in order to move the industry and the planet
5 forward in a more environmentally responsible way.

6 So what we were proposing to do is --
7 there you see the Meredosia plant, and, of course,
8 Mike just walked you through what upgrades will happen
9 at that plant. On the back end of the plant -- get
10 the pointer to work -- right there we will compress
11 the CO₂ that comes from the plant up to about 2,200
12 psi. That turns it into a fluid which behaves like a
13 liquid. Then you can pump it. It moves through a
14 pipeline that is approximately 30 miles long to a
15 storage site that is south of Ashland. It is west of
16 Route 123. And at that point it is injected deep into
17 a geologic formation nearly a mile below the surface.

18 And just one -- couple of things about
19 this graphic that I want to highlight is just thinking
20 about the fact there is nearly a mile of solid rock
21 between the CO₂ that is stored and the surface. We
22 get our well water around here in the top couple
23 hundred feet. Of course, we farm -- or you farm on
24 the surface. That distance is about equivalent to the

1 height of four Empire State Buildings. So the scale,
2 the depth, is enormous, and we'll talk about that more
3 in a minute.

4 The reason we're doing this is we want to
5 be able to demonstrate how you site, how you permit,
6 how you insure, how you operate in an integrated
7 fashion a power plant that has novel oxy-combustion
8 technology and then safely store that CO2 that would
9 otherwise go up in the atmosphere.

10 The volume of CO2 that would be stored is
11 39 million metric tons. The storage site itself would
12 have a very comprehensive suite of monitoring
13 technologies. It is our clear intention to have a lot
14 of redundancy in the monitoring and essentially you
15 might say gold-plated monitoring. We want to try as
16 many different techniques as possible so we have an
17 incredibly thorough understanding of how the CO2
18 behaves in the subsurface and we know how we can
19 subsequently commercialize this process in other parts
20 of the world.

21 As Jeff Hoffmann from DOE mentioned,
22 another important characteristic of what we're
23 responsible for is making a substantial investment
24 with DOE in visitor, education, and research

1 facilities that would help advance carbon capture and
2 sequestration technology. Those investments would
3 also happen in Morgan County. And by doing all these
4 things, it helps meet the overall goal of providing a
5 pathway to future commercial siting in other parts of
6 the country and other parts of the world of near-zero
7 emission coal plants.

8 Little bit more about the CO2 pipeline.
9 CO2 pipeline technology is very mature. There's 3,600
10 miles of CO2 pipeline that operate in the U.S. today.
11 It's operated for decades, has an impeccable safety
12 record.

13 In our case, it's actually a relatively
14 small pipeline, 12 inches in diameter. It's buried no
15 less than four feet below the surface, a bit deeper in
16 agricultural areas, and if we have to do something
17 like go under a road or a stream, then it would be
18 even deeper.

19 The pipeline itself would be located on an
20 easement, and we've set the minimum distance from any
21 residences or businesses to be 150 feet. Legally you
22 can put a pipeline within 50 feet of a home or a
23 business. It's safe to do that. But we've tried to
24 create a bigger buffer zone just to add to what we

1 hope will be overall comfort with the pipeline.

2 And, then, of course, as you route it, you
3 want to make sure -- it doesn't have to go in a
4 perfectly straight line. You want to make sure that
5 you avoid wetlands and parks, and it will be sited
6 accordingly.

7 Another part of the surface infrastructure
8 are the CO2 wells. There are both wells -- several --
9 for injecting CO2. There are many more wells that
10 support the monitoring, and I'll say a little bit
11 about that. And we're going to make every effort to
12 design the placement of those wells and how they look
13 to be something that's compatible with existing
14 surface uses.

15 Selecting the storage site. The FutureGen
16 Alliance has literally years and years of experience
17 looking at the criteria that make for choosing a
18 premium quality storage site. And Morgan County,
19 among the sites that competed, rises to the top of
20 that list. It's just outstanding on a number of
21 different characteristics, and that is certainly the
22 case, that we would hope to site it here.

23 We do have two alternative sites, one in
24 Douglas County and one in Christian County, which

1 might raise the question why would we go to an
2 alternate. well, over the course of the summer, we'll
3 drill a geologic characterization well so we can
4 firsthand look at geology and affirm that what we
5 believe is the case is true about this geology -- it's
6 high quality. If for some reason it's not, we have
7 these alternative sites. All three of those, as you
8 heard from DOE, will be evaluated in the EIS.

9 I wanted to say a little bit more about
10 the geology. You saw in the first picture where we
11 had a well going down 5,000 feet. This is a little
12 bit more detailed diagram of what that 5,000-foot
13 geologic column looks like. And one thing to note
14 here is this is where you farm. You get your well
15 water in the top couple hundred feet.

16 If you move down about a thousand feet
17 under the earth, you see that first blue layer.
18 That's a shale. It's also called a caprock. If you
19 saw the demonstration in the back, you certainly know
20 that caprocks are dense, non-porous, and impermeable.
21 So it keeps fluid from either moving up through it or
22 down. we also call that caprock a geologic seal.

23 Slightly below that you're at a little bit
24 more than a thousand feet, in that range. Near the

1 Morgan County site there are some small oil and
2 particularly gas resources that exist. Those
3 resources have existed there for millions of years.
4 There are, in fact, some wells nearby that produce
5 some of that gas.

6 You might be interested to know that CO₂
7 naturally occurs in the subsurface, and so that gas
8 actually includes today some CO₂ that is mixed within
9 it. But I think it is worth noting it's been there
10 for millions of years at roughly a thousand feet,
11 hasn't migrated up in the well water, hasn't done
12 damage to surface farmland.

13 You drop down a little bit further, and
14 you have another layer of this dense shale. So that's
15 the second geologic seal that you have that prevents
16 things from moving up. We're storing CO₂ way below
17 that.

18 You go down here a little bit further,
19 that's right around 2,000 feet deep or so, there's
20 something called the St. Peter sandstone. Not at our
21 site but in many sites around Illinois people store
22 natural gas in that formation. We're injecting CO₂.
23 But for decades they safely take natural gas, inject
24 it into that formation, normally in the summer.

1 They're bringing it from places like Canada, and then
2 in the winter, when it's cold, they draw it back out,
3 and it gets used locally. So I think it's worth
4 noting at this depth it's common to have natural gas
5 storage. It can operate very effectively. It doesn't
6 migrate to the surface.

7 we're still only halfway down to where
8 we're ultimately looking to put CO₂, which is the Mt.
9 Simon sandstone, that very thick yellow band at the
10 bottom. Immediately above it is one of the -- is the
11 thickest of the three shale seals that will help
12 contain the CO₂.

13 And beneath the Mt. Simon, down here at
14 the very bottom, you have solid granite. And when
15 you're down here at this depth, you're talking about
16 geology that's on the order of half a billion years
17 old, and it's a very stable formation to work with,
18 and it's one of the reasons that it's such an
19 attractive geological formation to store CO₂.

20 In addition to storing the CO₂, I
21 mentioned we're going to monitor it. And monitoring
22 will be done with a whole range of different wells
23 with seismic approaches, which is sort of like taking
24 a sonogram of the earth. You can do some of these

1 sonograms by driving trucks over the surface. There
2 are also specialized vertical seismic profile
3 techniques where we can actually put tools down in the
4 ground thousands of feet and it can monitor the
5 behavior of the CO₂.

6 Also, while virtually impossible to have
7 an impact up here near the surface, we will have an
8 array of soil monitors and well water sampling
9 activities ongoing so that we can demonstrate to the
10 world that, long before we start, here's what well
11 water and soils look like and that there is no change
12 in those over time.

13 The other thing that a really extensive
14 monitoring program does is it allows you to watch
15 literally on a routine basis, annual basis, how the
16 CO₂ is behaving when you put it in the subsurface.
17 And if it behaves differently than you think it might,
18 meaning it moves a little slower or a little faster,
19 you can adjust your engineering approach, and if you
20 got a problem, you can stop long before you have any
21 significant negative consequence.

22 And so, in summary, before I turn it back
23 to DOE and then we listen to you, I think this really
24 is a once-in-a-lifetime opportunity. It would be the

1 world's first near-zero emission plant, capture more
2 than 90 percent of the CO2, take all the traditional
3 pollutants and drive them close to near-zero levels.
4 It would be -- the storage site would be fully
5 integrated with the Ameren plant, and what does that
6 do? well, that helps you use things like Illinois
7 basin coal, which isn't always the cleanest coal in
8 the country when you get it out of the ground, but
9 allows you to use that more cleanly in power plants,
10 and that equals jobs, that equals economic growth for
11 Illinois.

12 we're also going to create a substantial
13 amount of construction jobs and permanent jobs between
14 the two sides of the project. Most of the
15 construction jobs do come on the power plant side of
16 the project. We are looking to work with landowners
17 who are interested, and we will certainly compensate
18 them for the use of the deep geology under their
19 property, and we'll also -- they will share in a
20 royalty stream.

21 So one of the things that we hope we can
22 show here is farming can continue and, in a very
23 compatible way, you're providing an additional revenue
24 stream for the American farmer and landowner.

1 The other thing is it definitely increases
2 the tax base in Morgan County and generates more
3 revenue. And, then, finally, these research
4 facilities we've talked about. That's a 25 to \$50
5 million investment in the community.

6 So I thank you very much for giving me a
7 bit of extended time there and look forward to hearing
8 what you have to say as well.

9 Thanks.

10 MR. WHYTE: Again, I'm Cliff Whyte, and
11 I'll try to move through the NEPA discussion fairly
12 quickly, but I want to give you an overview about why
13 we're here this evening, what NEPA is, and give you a
14 brief explanation of that process moving forward.

15 The National Environmental Policy Act or
16 NEPA has been around for more than 40 years. It
17 applies to all federal agencies. When federal monies
18 or federal actions or federal decisions are being
19 made, the NEPA process is supposed to guide those so
20 that informed environmental decisions can be made as
21 projects are evaluated. It's a national charter, and
22 it certainly promotes environmental considerations to
23 be involved in the decision-making.

24 One of the central tenets of NEPA is the

1 availability of high quality information, and I've had
2 a discussion with a number of folks in the audience
3 this evening about the availability of information and
4 trying to make sure that it's presented in such a way
5 that is understandable to the public and it is
6 available.

7 we also want to make sure that there's
8 accurate scientific analysis that's used and that we
9 solicit expert agency comments. And by that I mean
10 certain resource areas such as the state historic
11 preservation office need to be consulted, the
12 U.S. Fish and wildlife Service, the Army Corps of
13 Engineers as it pertains to wetlands and so forth. So
14 there's a lot of different agencies out there that
15 have very specific expertise that we'll draw on
16 throughout the process.

17 Last but certainly not least is public
18 involvement, and that brings us to why we're here this
19 evening. This EIS -- it was determined that an EIS
20 would be prepared back in November. The notice of
21 intent appeared in the Federal Register on May 23,
22 2011. That starts the clock, if you will, on the NEPA
23 process. It's a 30-day public scoping period, and
24 because of the May 23rd publication, the scoping

1 comments should be received by DOE by Wednesday, June
2 22nd.

3 What is an environmental impact statement?
4 It's a compilation of a lot of the data and analysis
5 that I mentioned a little earlier. EIS's are tailored
6 to the specific project; however, they all have common
7 components, and those are listed here. Some of the
8 more -- the purpose and need for agency action and the
9 proposed -- a description of the proposed agency
10 action and description of the reasonable alternatives
11 are always sections that draw a lot of interest.
12 Certainly the proposed project and project
13 alternatives; a description of the affected
14 environment; analysis of potential environmental
15 consequences; a list of those agencies, organizations,
16 and persons that were contacted; and, of course, the
17 public participation and responses to public input
18 that's received.

19 As many of you saw on one of the posters
20 here this evening, for the FutureGen 2.0 project we're
21 early in this process. We are at the first
22 opportunity for public comment -- for formal public
23 comment.

24 A draft environmental impact statement

1 will be prepared at the -- well, it's already being
2 worked on, but it will be prepared based on the
3 comments that we receive here this evening and the
4 analysis that's required to be an EIS, and we
5 anticipate that that will be coming forth in the
6 spring of 2012.

7 Again, there will be an additional public
8 comment after the EIS is a draft format. That will
9 include a public meeting similar to this before a
10 final environmental impact statement will be prepared
11 and a record of decision ultimately issued. The
12 projected time frame on that is at this point the fall
13 of 2012.

14 This slide basically reiterates those same
15 dates that I just provided you.

16 And that gets us back to the purpose of
17 the scoping meeting. This process this evening helps
18 us shape the draft EIS, to find out what's on the
19 minds of the stakeholders, to find out what issues
20 you'd like to see addressed, what data you believe
21 should be incorporated or collected or needs to be
22 considered, and what analysis you'd like to see
23 performed.

24 On the comment sheets that I referred to

1 earlier this evening, my contact information is again
2 there. There's a toll-free telephone number and an
3 e-mail address, a fax number, my mailing address. If
4 you can get me information, it goes into the record
5 regardless of the method by which you provide.

6 Moving along, we're getting to the part of
7 the evening where the actual formal comments will be
8 accepted. We do have a couple of government officials
9 who have asked to speak. We'll go down that list,
10 and, then, again, we'll go to the list of those who
11 preregistered, then the list of those who registered
12 tonight, and then open up to those who have not
13 registered but would like to speak.

14 A copy of the transcript of this meeting
15 will be available online. It will be on the DOE
16 website. Probably be two or three weeks before that
17 official transcript is posted, but it will be posted.

18 Because we do have a number of speakers
19 this evening, I'll ask you to limit your comments to
20 five minutes. Because I want to focus on you and
21 listen to the comments, I'll ask Fred over here in the
22 front row to let me know when we're getting close to
23 the five-minute mark, and I'll let you know from the
24 front. I'll ask at that point -- you don't have to

1 stop speaking immediately but please finish the
2 thought that you're on. If we have additional time,
3 we'll have the opportunity for you to come back up and
4 finish.

5 Also, a reminder that this is not a
6 question-and-answer session. This is your opportunity
7 to be heard on the record with what your comments,
8 your issues and concerns that need be incorporated
9 into the draft EIS are.

10 Please also remember that the court
11 reporter is here in the front. We'll ask that you
12 please clearly state your name when you come forward
13 before you begin your comments, and please spell your
14 name for the record so that we make sure that we have
15 it correct.

16 If our court reporter begins to fall
17 behind, she'll let me know, and I'll give you a sign
18 to please slow down a little bit. We want to make
19 sure that we get everybody's comments.

20 And, finally, I ask that we all be
21 respectful. The idea here is to collect everyone's
22 public comments. With the number of folks we have in
23 a relatively small room this evening, I'll ask that
24 you be respectful, and whether you agree or disagree

1 with comments that are being read into the record or
2 spoken into the record, please be respectful.

3 with that I will ask for the microphone
4 for our stand over here, and also the first speaker
5 this evening will be county board chair Brad Zeller.
6 Please come to the podium.

7 MR. ZELLER: First, I'd like to thank
8 Mr. Whyte and Department of Energy for coming to
9 Jacksonville. We look forward to seeing you here many
10 more occasions and Mr. Humphreys. Ken, it's always
11 good to see you, and, Mike, thanks for coming up to
12 Jacksonville.

13 Well, this process started for us with a
14 bang last -- early last fall when Senator Durbin came
15 to Meredosia to announce that FutureGen 2.0 -- they
16 were going to retro the Meredosia power plant as we've
17 learned here in more detail. But we were excited
18 about that -- the Morgan County board -- for the
19 general area because we were hearing all the rumors
20 that the power plant was for sale and that they were
21 going to mothball the whole power plant. So to us
22 that was a great opportunity for us, with the new
23 technology and clean coal, to keep a power plant open
24 in Morgan County and provide numerous jobs for the

1 next 30 years for that area.

2 And we know -- if you know Meredosia, it
3 has been a depressed area because the industry has
4 been leaving Meredosia for the last five to seven
5 years approximately. So we were excited for that, and
6 we were looking forward to that project and its
7 continuity.

8 Then comes the next decision that we were
9 going to be able to put a request for proposal in for
10 the sequestration site. When we found out that our
11 land, the Mt. Simon formation, was more than adequate,
12 and our distance to the power plant was, of course,
13 the most valuable asset, I think, or one of the best
14 assets that we had, we were excited about that part of
15 the project as Morgan County board members trying to
16 generate jobs and revenue for our county.

17 So when we were fortunate enough to be
18 able to get that part of the project, we were
19 extremely excited as board members. We understand the
20 concerns that the citizens have. We understand the
21 concerns of the area farmers. I happen to live close
22 to that area. So I know a lot of people personally,
23 and it's been a difficult process for us.

24 But at a county board level, we have had a

1 great working relationship with Mr. Humphreys and the
2 FutureGen Alliance. They have been open to all of our
3 questions. They have been courteous to all comers.
4 we have had meetings in the area with the farmers and
5 that was much appreciated on our part, and we know
6 that Ken's door is always open, Department of Energy's
7 door is always open. So we feel very comfortable with
8 the way this process has developed so far.

9 we're looking forward to the project and
10 its completion. we're looking forward to the
11 construction jobs. we're looking forward to the
12 service jobs, and we're looking forward to \$1.3
13 billion invested in Morgan County.

14 Thank you.

15 MR. WHYTE: The next speaker this evening
16 will be Kelly Hall, Jacksonville Community Development
17 Director who is representing the mayor.

18 Please also remember folks, we have folks
19 in the back. So please hold the mic up close. It
20 isn't picking up real well. want to make sure we get
21 everybody's comments.

22 Mr. Hall.

23 MR. HALL: My name is Kelly Hall. I'm
24 the Community Development Director with the City of

1 Jacksonville, and we would like to welcome everyone to
2 Jacksonville. We think we have a fine community here.
3 I've got a little cheat sheet here so I don't leave
4 anything out.

5 On behalf of Mayor Ezard and the elected
6 officials of the City of Jacksonville, we want to
7 express our enthusiastic support of the Ameren and
8 FutureGen project. The benefits to the county of
9 Morgan and our community are tremendous at the very
10 least and a blessed boost to our local economy.

11 Be it known that the City of Jacksonville
12 will enthusiastically continue to provide any
13 assistance needed in the complete support of this
14 project.

15 Thank you all again for coming to
16 Jacksonville and have a good evening.

17 MR. WHYTE: Thank you.

18 We'll now go to the speakers who
19 preregistered. The first preregistered speaker is
20 Andy Davenport.

21 MR. A. DAVENPORT: Okay. My name is Andy,
22 A-n-d-y, Davenport, D-a-v-e-n-p-o-r-t, and I live one
23 mile -- can't see my writing without taking those off.
24 I live one mile east of Berea Church on Davenport Road

1 in eastern Morgan County. My son, David, and I farm a
2 thousand acres of family-owned farmland within a five
3 mile radius of the center the proposed FutureGen
4 carbon dioxide sequestration site.

5 I would also add that my family has farmed
6 in the Morgan-Sangamon County area since before the
7 Civil War, and I've been farming to pass it on to my
8 son, and any risks associated with that that endangers
9 that farm and the future generations -- my FutureGen
10 is sitting beside me back there in my son's farm.

11 Okay. We represent over 330 local
12 residents, homeowners, farm owners, and farm tenants
13 in the Ashland-Alexander area who signed a petition
14 strongly opposing the FutureGen underground carbon
15 dioxide storage site five miles north of Alexander on
16 the west side of Old State Route 123 --

17 COURT REPORTER: I'm sorry. Can you slow
18 down?

19 MR. A. DAVENPORT: I'll never get through
20 it.

21 -- centered on what is known locally as
22 the Beilschmidt farm.

23 We have delivered copies of this petition
24 to the Morgan County commissioners, the Jacksonville

1 Regional Economic Development council, state
2 Representative Jim Watson, state Senator John
3 Sullivan, U.S. Representative Aaron Shock, U.S.
4 Senator Dick Durbin, and to Governor Pat Quinn.

5 This petition has been ignored by the
6 FutureGen Alliance in selecting Morgan County for
7 their carbon dioxide storage site even though none of
8 the other three counties in consideration for the
9 site, to our knowledge, submitted a petition against
10 it.

11 I would like to add a few lines here that
12 aren't associated with the environmental concerns, but
13 no one has brought up about the economic part of it:
14 Ameren's statement to their own employees that the
15 Meredosia power plant tried to keep the increase in
16 power cost to 35 percent with carbon capture and
17 storage. The Department of Energy projects a 40 to 67
18 percent increase in electric rates with CCS in
19 general.

20 Research done at Harvard University
21 determined the realistic cost of CCS would be around
22 \$150 per ton of carbon dioxide or \$.20 per kilowatt
23 hour. Analysts suggest a price ceiling of only \$35
24 per ton to be economically feasible for cap and trade

1 purposes.

2 If the carbon capture upgrade at the
3 Meredosia power plant were to be done for all four
4 burners and other coal-fired plants in Illinois were
5 to convert to CCS technology, the cost would be
6 astronomical to electricity consumers.

7 Okay. I realize the purpose of this
8 meeting is for environmental safety concerns, not to
9 debate the high cost of CCS. The carbon dioxide
10 captured at the Meredosia power plant must be placed
11 under about 2,000 pounds pressure -- psi pressure to
12 keep the gas in liquid form to transport by pipeline
13 to the sequestration site for injection into the Mt.
14 Simon sandstone formation. Natural gas pipelines
15 typically use half that pressure.

16 In an April Farm Week -- which is the Farm
17 Bureau publication that goes around to farmers
18 statewide. In an April Farm week publication
19 interview, FutureGen states the top of the Mt. Simon
20 sandstone layer at the storage site is 4,450 feet
21 below the ground surface. However, a map provided at
22 FutureGen's own website shows that depth to only be
23 3,600 feet. FutureGen's own publication, Request for
24 Site Proposals, on page 24, paragraph 4.1.4, states

1 that the top of the Mt. Simon sandstone layer must be
2 at least 3,500 feet below the surface to ensure safe
3 storage by keeping the carbon dioxide in supercritical
4 condition, in liquid form. Is the depth to the top of
5 the sandstone formation thus barely adequate by
6 FutureGen's own standards?

7 Also, in the same Farm Week interview,
8 Sallie Greenberg, assistant director of the Illinois
9 Geologic Survey's Advanced Energy Initiatives, states
10 the proposed carbon dioxide reservoir would be
11 separated from shallow -- less than 80-foot deep --
12 groundwater supplies by nearly a solid mile of very
13 impermeable shale, limestone, and other rock.
14 wouldn't that depth be 3,600 feet if the carbon
15 dioxide plume rose to the top of the Mt. Simon
16 sandstone formation?

17 At an April 26, 2011, meeting held at
18 Berea Church solely for Cass-Morgan Farm Bureau
19 members possibly affected by the FutureGen project,
20 Dr. Robert Finley, director of the Advanced Energy
21 Initiative, Illinois Geologic Survey, stated that the
22 pore space in the Mt. Simon formation was saturated
23 with brine four to five times saltier than the ocean.
24 This is unlike the oil recovery projects we hear about

1 where that pore space is available. In this case, he
2 says that the pore space is saturated with brine.

3 He also stated that the carbon dioxide
4 would be in liquid form at the injection depth. As
5 farmers, we use hydraulic systems every day, and we
6 know and respect the force created when liquids are
7 placed under high pressure like that used to inject
8 the liquid carbon dioxide. Liquids are not
9 compressible. We believe that injecting very large
10 quantities of liquid carbon dioxide under extremely
11 high pressure over a period of 30 years will force
12 either the carbon dioxide, the brine, or a combination
13 of the two to either travel a great distance
14 laterally, depending on porosity, or migrate to the
15 surface at the first available crack or fissure
16 available. The question of what eventually occurs may
17 only be answered with the passage of time, perhaps 20
18 or even 30 years.

19 Also, a NOVA program aired on public TV on
20 April 27, 2011, showed a carbon dioxide sequestration
21 site at an Algerian natural gas power plant in North
22 Africa where the earth's surface was detected as
23 moving upwards as carbon dioxide was pumped a mile
24 deep into a porous rock formation.

1 Also, it seems to be a great oversight to
2 allow the circular thousand-acre carbon dioxide
3 sequestration site centered on the Beilschmidt farm to
4 have a major stream, Indian Creek, pass through 4,400
5 feet or eight-tenths of a mile to the northern part of
6 the sequestration circle. The Indian Creek is formed
7 by springs and field tile outlets near the Morgan and
8 Sangamon County line, actually on our farm, follows a
9 generally east to west course through and drains the
10 northern quarter of Morgan County, entering the
11 Illinois River above Meredosia. Any leakage of brine
12 or carbon dioxide from the sequestration site would be
13 most likely to occur near or in the creek as it
14 follows the lowest part of the landscape.

15 Brine, carbon dioxide or carbolic acid,
16 and any toxic material carried with that contaminating
17 the creek would be catastrophic and affect
18 groundwater, wild and domestic animals, fish, plant
19 life, and farm fields along the creek. An alternative
20 to this site must be found to avoid polluting this
21 major stream.

22 A study published in the Journal of
23 Petroleum Science and Engineering titled Sequestering
24 Carbon Dioxide in a Closed Underground Volume, by

1 Christine and Michael Economides, engineering
2 professors at Texas A&M University, concludes 5 to 20
3 times more pore space than originally thought is
4 needed for carbon dioxide storage, and it renders
5 geologic sequestration of captured carbon dioxide
6 profoundly non-feasible.

7 while some FutureGen advocates have
8 dismissed this study, why has FutureGen's CEO Ken
9 Humphreys said the project sequestration site may need
10 to be expanded to 2,500 acres or as much as 10,000
11 acres? Is that related to this study?

12 we conclude by commenting that agriculture
13 and coal mining are counterproductive. I grew up in
14 Pawnee in southern Sangamon County, and we lost 20
15 acres of our farm to subsidence for coal mining. We
16 ended up selling the 20 acres to a local church, and
17 they built the church on five acres and the other 15
18 acres is underwater.

19 The older practice of coal mining that
20 required roof and pillars left to prevent mine
21 subsidence and the newer method of longwall mining
22 that removes the entire coal vein and allows the
23 entire landscape to subside completely creates
24 drainage problems which severely impact farm fields

1 above the mines. Continued mining, especially of the
2 longwall method, if accelerated by the adoption of CCS
3 throughout the state, which requires 35 to 40 percent
4 more coal to produce the same amount of electricity,
5 would be detrimental to agricultural production.

6 We wish the Department of Energy would
7 have used the \$1 billion of taxpayer money given to
8 FutureGen to research alternative energy sources other
9 than coal. Developing hydrogen power from water would
10 be much cheaper and safer with none of the
11 environmental hazards. With coal and carbon capture
12 sequestration, we are simply trading an environmental
13 hazard above ground for one below.

14 Morgan County farmland is way too valuable
15 a resource to risk with this 30-year FutureGen
16 experiment.

17 Abraham Lincoln's quotation at the top of
18 Mumford Hall in the College of Agricultural at the
19 University of Illinois is worth noting: "Illinois'
20 wealth lies in her soils and in their wise
21 development."

22 Thank you very much.

23 MR. WHYTE: Thank you. The next speaker
24 is David Davenport.

1 MR. D. DAVENPORT: Hi. My name is David
2 Davenport. That was my dad, and I farm in northeast
3 Morgan Country near the sequestration site.

4 Morgan County farmland is some of the most
5 productive agricultural land in the entire world.
6 It's often at or near the top of the list for average
7 corn yield by county for the State of Illinois. In
8 2004 it was the first county ever in the State of
9 Illinois to average 200 bushels per acre. The
10 northeast corner of the county were the proposed
11 FutureGen carbon dioxide injection site is proposed is
12 some of the most productive ground in the county.

13 My family owns and farms a field that has
14 yielded over 250 --

15 COURT REPORTER: I'm sorry. Slow down.

16 MR. D. DAVENPORT: Okay. My family owns
17 and farms a field that has yielded over 250 bushels
18 per acres in past years.

19 So why are we risking such highly
20 productive ground for an experiment with potentially
21 damaging consequences for the property and dangerous
22 consequences for people?

23 If you listen to the FutureGen Alliance
24 and its proponents, pumping thousands of tons of

1 carbon dioxide into the ground will be so safe none of
2 us should worry. One of the things we've been told
3 over and over is how stable the carbon dioxide will be
4 deep below the surface, and it will have almost no
5 chance of escaping to the surface because of our shale
6 layer above the Mt. Simon formation.

7 But as the University of Michigan study
8 said, in defining why carbon dioxide sequestration was
9 not only not the answer to global warming but
10 potentially dangerous, quote, "The earth's plates
11 shift and move, and pressures can build beyond
12 expected measurements. Life and nature change. Such
13 flexibility is part of their very definition."

14 It's extremely shortsighted of us to only
15 consider whether or not the carbon dioxide will remain
16 where we put it for 30 years or 50 years or even
17 several hundred years. The plan is to find a
18 permanent storage site for CO2 for this experiment to
19 not be a waste of time and taxpayer money.

20 In a meeting with geologists associated
21 with FutureGen, we asked them what would happen in the
22 event the monitoring wells showed the CO2 was escaping
23 to the surface, and their answer was that the project
24 would be shut down. But when asked what would be done

1 about the CO2 already in storage that was leaking to
2 the surface, we received no answer.

3 In a recent publication by FutureGen of
4 their frequently asked questions, they state, quote,
5 "If there is any deviation from our plan, the project
6 will be required to make adjustments to the injection
7 strategy or cease operations," end quote.

8 So I guess that CO2 would continue to
9 migrate to the surface, eventually poisoning our
10 groundwater and making our area uninhabitable, while
11 also making our land unproductive for growing crops.

12 Also, Dr. James Singmaster, a retired
13 environmental chemist from UC Davis, pointed out that
14 we all concern ourselves with carbon dioxide when
15 considering carbon sequestration, but what are the
16 other byproducts? Mercury, cadmium, and oxides of
17 nitrogen will be dirtying water from the carbon
18 sequestration process.

19 COURT REPORTER: Slow down.

20 MR. D. DAVENPORT: The carbon
21 sequestration process also uses tons of somewhat toxic
22 and highly flammable chemicals. So the dangers will
23 not only be at the waste site but also at the power
24 plant.

1 Another interesting point FutureGen makes
2 is how they state over and over that CO2 is
3 non-hazardous. That is simply not true. On the CDC's
4 website, they state that exposures to CO2 at 10
5 percent concentration are, quote, "immediately
6 dangerous to life." This project will be handling 97
7 percent pure CO2. So according to the CDC, that is
8 almost 10 times the concentration of CO2 needed to
9 kill someone.

10 So back to the waste site. What will
11 happen in the event the carbon dioxide is released at
12 the injection site or really anywhere along the
13 pipeline that will stretch the width of the county?
14 Carbon dioxide is heavier than air. So when released
15 in quantity, it hangs in a cloud at ground level.

16 On August 21, 1986, Lake Nyos in Cameroon,
17 released a large cloud of CO2 as a result of geologic
18 activity. Around 1,700 people from nearby villages
19 and thousands of animals were asphyxiated. Obviously
20 CO2 is very hazardous in this case.

21 This kind of catastrophe could result from
22 something as accidental as someone hitting the
23 pipeline with a backhoe or something as major as a
24 geological shift which will happen eventually.

1 A quick viewing of how the Earth was made
2 on the History Channel will tell you the Earth is
3 constantly changing, and it's shortsighted of us to
4 consider this technology safe because we're pretty
5 sure nothing is going to happen to the geography for a
6 while.

7 So our state and our county are supposed
8 to trust the FutureGen Alliance, an alliance of mining
9 companies, coal companies, coal exploration companies,
10 et cetera, to develop this technology because it's
11 good for the environment and it's going to stop global
12 warming.

13 Many environmentalists strongly disagree
14 and see this technology for what it truly is: Trading
15 one environmental hazard for another while burning a
16 significant amount more coal to produce the same
17 amount of energy for consumers, resulting in higher
18 consumer prices and more profits for the coal
19 industry.

20 FutureGen wants to talk about the
21 broad-based public support it has in Morgan County.
22 The truth is, where the injection site will be
23 located, there is broad-based opposition. Landowners,
24 farm owners, and homeowners in the area immediately

1 around the site are not happy about being the guinea
2 pigs for this experiment.

3 Jacksonville banks, colleges, and
4 businesses have heard the potential for growth in
5 their community while taking on none of the risk and
6 of course they are supportive. But I wonder how many
7 Jacksonville residents have researched unbiased
8 sources on carbon dioxide sequestration to see the
9 estimates of how much it would cost consumers in the
10 long run if this technology is adopted.

11 I encourage the Department of Energy to
12 thoroughly explore the impact upon our wetlands and
13 water sources, the various health and safety issues
14 involved, the socioeconomics and impact upon our
15 public services. The latter point I make because
16 nothing has been said about enhancing our local
17 infrastructure to be able to appropriately respond to
18 any environmental accidents.

19 I also have a couple comments on
20 previously made comments. Is that okay?

21 MR. WHYTE: It's your five minutes.

22 MR. D. DAVENPORT: Okay. Commissioner
23 Zeller noted that he was happy about the FutureGen
24 project because it would mean \$1.3 billion invested in

1 Morgan County. But when you think about it, it's not
2 \$1.3 billion invested in Morgan County. It's invested
3 in FutureGen. They have to spend money to buy the
4 hardware for the project, which I don't think we make
5 the pipeline here in Morgan County. I don't think we
6 make parts for the power plant. Do we have a drilling
7 company in Morgan County that can drill a mile down
8 into the ground? Do we have a company that lays CO2
9 pipeline? A lot of this money is being invested in
10 places other than Morgan County.

11 Also, Mr. Humphreys noted that the -- is
12 it St. Peter's formation where the natural gas is
13 stored? It's underneath the layer where the oil has
14 stayed for million of years, and I think, if he
15 researched with farmers around waverly, he'd find that
16 some of them feel that the CO2 -- or, I mean, the
17 natural gas stored in that formation is not
18 permanently stored underground and they have leakage
19 there.

20 Also, I'd like to comment on
21 Mr. Hoffmann's slide showing widespread saline
22 formations across the country which probably also
23 includes less inhabited areas and areas where the
24 ground is not so productive. why would we not do an

1 experiment like this to see how the CO2 is going to
2 react in saline formations in an area where there's
3 not so much risk to farmland and also people?

4 Thank you.

5 MR. WHYTE: Thank you. The next speaker
6 that's registered is Jeffrey Niemann.

7 MR. NIEMANN: Okay. My name is Jeffrey
8 Niemann. J-e-f-f-r-e-y, Niemann, N-i-e-m-a-n-n. And
9 I am an heir -- one of the heirs to the Beilschmidt
10 family farm trust, and I am not in favor of CCS nor
11 FutureGen 2.

12 I'd like to make one point to Andy. One
13 of the comments he asked at a previous meeting that I
14 did not answer is the fact that there are heirs and
15 you know us, and the reason that we did not stand up
16 at those particular meetings is the fact that the farm
17 itself is held by a trustee. And even though there's
18 only three years left for 50 percent of the land and
19 another two years after that for the other 50 percent,
20 we have no control over any of the decisions made that
21 go on the Beilschmidt farm. We are totally --
22 basically, we've been -- for the most part, we have
23 not been notified or consulted prior to the issuing of
24 any agreements. Okay? That clarifies that point.

1 I'd like to say that I am -- I've worked a
2 number of years in the petroleum industry. I've
3 worked somewhere in the neighborhood of 30 years, and
4 I have worked as a health and safety specialist in
5 these industries. Most of these were overseas --
6 Saudi Arabia, Kingdom of Bahrain -- and I had a large
7 experience with GIFs and WIFs. These are gas
8 injection facilities and WIFs, water injection
9 facilities. And as such, I am not particularly in
10 favor of gas injection for a number of reasons. I'll
11 cover these in just a few moments.

12 I'd like to also add that I was seven
13 years with the Illinois EPA, and some of the questions
14 that you raise or some of the comments you made I
15 thought were very appropriate because one of the
16 biggest problems we had in the Illinois EPA was
17 remediation of anything in the ground, whether it be
18 groundwater or gas, anything that is dissolved in the
19 ground. It's a long, costly proposition.

20 And this leads to the next point which is
21 one that you made, and that is basically CCS is not a
22 solution to the problem of air pollution. Merely it
23 means polluting the land instead of the air. The CO₂
24 will remain in the ground longer than 30 years.

1 Everybody's been referring to 30 years as the project.
2 But the thing is the project is expected to run a
3 considerable amount of time, and if you look into the
4 health and safety of the people, who are going to look
5 at the health and safety of the people, say, in 50
6 years? A hundred years? A thousand years?

7 This seems rather a long period, but I'll
8 never forget up in Chicago we were drilling a
9 hazardous waste well, and we pulled up a newspaper,
10 and we clearly read the newspaper that had been
11 deposited in this site back in the early '50s, and
12 this was in the mid '90s. So when you put something
13 away, it may be out of sight, but it's still there,
14 and it still may have to be answered to in years to
15 come.

16 Now, I'm going to say some things first in
17 case I run over five minutes. One of the things that
18 I looked at, when the project came forward, some of
19 the numbers were quoted for jobs in the Journal-
20 Courier. I found that the numbers were rather high.
21 I felt they were exceptionally high for the type of
22 work that was being performed and the type of facility
23 that was being constructed. These are similar to the
24 ones that I ran across in the oil industry.

1 Now, for example, people said there will
2 be 75 jobs for -- at the sites of the injection wells.
3 I even have a picture of a CCSI pilot project at East
4 Bend-Cincinnati Arch polite site, and it shows a
5 photograph of a man standing next to an eight-foot
6 pipe. That eight-foot pipe is the injection well.
7 And you can see, looking around him in the surrounding
8 area, not a thing. There is no reason to have 75
9 people associated with an injection site.

10 In my experience, we've had somewhere in
11 the neighborhood of 75 injection sites, and we had
12 basically one roving outside operator that visited
13 that site once a day just to verify that there was
14 nothing unusual going on, any unusual leakage or any
15 unusual problems. Like, we had at bulldozer run into
16 one, and it hadn't leaked. It just bent the thing.
17 But you don't need that type of personnel.

18 I looked at the plant that they had at
19 East Bend, and I looked at that and I said a hundred
20 people? A hundred operators? My estimation is you
21 would have two outside operators, a boardman, and a
22 senior control operator. That's four people. Four
23 shifts to make it 24/7. That's 16 people. Plus you'd
24 probably pick up an additional five people in

1 maintenance for that facility.

2 I talked with people regarding the power
3 plant. They had no idea what the numbers would be.
4 But based on what I see, I don't see the numbers in
5 the facility.

6 The second thing I'd like to point out is
7 the plant itself. Okay? You'd have supposedly a
8 hundred people, but one of the things was said was
9 there would be 2,000 involved in construction.
10 Looking at the plant, I looked at the vessels, I
11 looked at the fin fans, I looked at other reactors
12 that are present, and those are basically -- as you
13 said, Andy, they're made in a -- or I guess your
14 son -- these are made at different facilities. These
15 will be fabricated and either brought up the river or
16 brought by a railroad to be sited on project.

17 The actual area of the plant -- you
18 couldn't get 2,000 people on it. Somebody would fall
19 off the edge. So you're going to have maybe 2,000
20 people involved in the construction, but this is going
21 to be stretched over a period of time because you're
22 going to have, obviously, the people working on the
23 foundation. Then you're going to have structural
24 people come in. Then you're going to have boiler

1 operators fitting the vessels. Then you're going to
2 have -- follow up with instrumentation, cables,
3 electricity. These are all different crafts that will
4 occur at different times, not full-time jobs for the
5 entire construction, as we were led in the
6 Journal-Courier article.

7 Okay. The other thing -- there's a couple
8 other things that bother me with the numbers that also
9 had to do with visitors. I don't see a lot of
10 visitors coming to this particular site. I mean, in
11 the East Bend-Cincinnati Arch pilot program --

12 MR. CAREY: Mr. Niemann, can you -- we
13 can -- if there's time at the end, you can come back
14 up here.

15 MR. NIEMANN: Okay. That's fine.

16 Let me say this: I think the best
17 approach right now would be for this committee to go
18 to this site and get the facts: validate the numbers
19 in the drilling site, validate the numbers of working
20 people at the plant, verify if there's any -- been any
21 new construction in hotels and restaurants and
22 everything else that have been talked about. Because
23 I think it would be a crime for the people in
24 Jacksonville to be promised all these jobs and they

1 not come to pass.

2 Okay. Thank you.

3 MR. WHYTE: Thank you, Mr. Niemann. We'll
4 come back to you as time allows at the end.

5 The next preregistered speaker is Betty
6 Niemann.

7 MS. NIEMANN: My real name is Elizabeth
8 Niemann. Most people know me as Betty. It's
9 N-i-e-m-a-n-n. I am Jeffrey's wife, who is a
10 Beilschmidt heir and Beilschmidt family farm trust
11 beneficiary.

12 Frankly, I'm opposed to CCS and therefore
13 FutureGen 2. To me, taking carbon dioxide from the
14 air and putting it into the ground is not zero
15 emissions. Taking something from the air and putting
16 the same thing into the ground is just taking it from
17 one place and putting it in another without doing
18 anything to it. So it's polluting -- taking pollution
19 from one spot and putting it in another.

20 I have performed an extensive Internet
21 research on CCS -- and it's out there folks, and you
22 can be overwhelmed by it -- with its various
23 methodologies for carbon capture. I have talked to
24 people by telephone on CCS, and I'm still not

1 convinced the science is there for an environmentally
2 safe deposit of CO2 into the ground all in the name of
3 creating jobs.

4 Looking at the social and economic impact
5 for EIS of this proposed FutureGen product, according
6 to the Compass Coal website, which quotes SNL Energy
7 on the 23rd of May of this year, the normal gross
8 output of the Meredosia power plant would be 200
9 megawatts. We've seen that. With a maximum output of
10 215 megawatts. After oxy-combustion is put into
11 place, the net would be 140 megawatts. That's a
12 difference of 60 megawatts or 30 percent loss of
13 output of the power plant. This percentage loss is
14 reiterated throughout many websites on discussing the
15 oxy-combustion method.

16 Illinois House Bill 14 is trying to put
17 into place the ability to increase the electric rate
18 structure so that Ameren's investors would obtain a
19 faster payback on the initial cash outlay. Thus
20 electric rates could go up at least 30 percent if HB
21 14 passes.

22 Given the new increase in Illinois state
23 income tax, the question is can Morgan County
24 residents, Ameren -- Illinois Ameren customers, and

1 potential new businesses and industry afford the cost
2 of FutureGen to add to the economic -- gross economic
3 structure of Morgan County over the next 30 years.

4 On Heartland Coalfield Alliance's website,
5 which leads to the Sourcewatch website that talks
6 about Mountaineer plant in New Haven, west Virginia,
7 this is an up-going and research project. I called
8 ADP, the power company behind the project, along with
9 DOE. This process for capture is Alstom -- and that's
10 A-l-s-t-r-o-m -- patented chilled ammonia process.
11 And when I tried to find out what the energy load on
12 the power plant for that capture process was -- i.e.,
13 how much is it going to cost or what is going to be
14 the power reduction on the plant -- I got "That
15 information is proprietary." So who knows how much
16 more power is required by the capture process, and
17 what it will do to west Virginia electric rates.

18 Colin Kerr from Weyburn, Saskatchewan, who
19 has an injection well on his property, says that
20 several times a year two to three men inspect the
21 wellhead and not the 75 as hyped by the media for
22 FutureGen.

23 The scary bit for me -- and maybe
24 Ms. Greenberg can correct me on this -- was the report

1 given by Lauren Hunt at the Geological Society of
2 America 2004 Denver meeting that talks about gas
3 migration within the Mt. Simon and Eau Claire
4 formations at Troy Grove, Illinois. Given that the
5 report talks about natural gas, there is a potential
6 for the sequestered CO₂ to behave the same way. The
7 report stresses heterogeneity due to the discontinuous
8 shale layers in sandstone within the Mt. Simon layer.
9 That means they're not the same consistency. It's not
10 sandstone in the Mt. Simon layer, but it's a mixture.
11 And because of this heterogeneity, the gas may migrate
12 along the discontinuous pathway. So if you have two
13 adjacent to each other, the gas can go up between
14 them.

15 If this is not closely monitored over the
16 next 10, 20, 30, 50, 100, or 500 years, the
17 sequestered CO₂ could migrate to the surface and has
18 the potential to do catastrophic damage to the
19 environment.

20 The New Albany formation present in Morgan
21 County is also a formation that can be rich in shale
22 gas. It is not a solid layer, but it has cracks and
23 fissures within it. FutureGen sites this layer as a
24 possible cap for the CO₂ as it could migrate to the

1 surface.

2 My research revealed that a draft and
3 final EIS for the FutureGen project in Mattoon,
4 Illinois, revealed that along with the CO2 to be
5 sequestered there's H2S, hydrogen sulfate, rotten egg
6 smell, of approximate 30 percent. For those of you
7 who don't know that, hydrogen sulfate is a very toxic
8 and lethal gas, and it also likes to stay low to the
9 ground and in the low areas. What I want to know is
10 H2S -- will H2S be in the pipeline from the Meredosia
11 plant to the sequestered well site.

12 MR. CAREY: Ms. Niemann, we're running up
13 on time.

14 MS. NIEMANN: The land targeted by
15 Jacksonville Regional Development Corporation in its
16 proposal to the FutureGen Alliance and the Alliance's
17 selection for this injection site has been in my
18 husband's family since William Beilschmidt, who came
19 from Germany, purchased it before his son Henry
20 married Lizzy Talkemeyer in 1892. The heavily wooded
21 land was cleared by blood, sweat, and toil. It has
22 been the family homestead until the death of their two
23 last remaining offspring, William and Oley
24 Beilschmidt.

1 Bill and Oley established four trusts so
2 that charitable community entities could benefit.
3 They also established the Beilschmidt Family Farm
4 Trust of 399.35 acres so that the homestead land would
5 pass to succeeding generations as they were very
6 strong in family. It is this legacy of Bill and Oley
7 Beilschmidt that my husband and I hope to preserve for
8 farming and not a dump site for CCS in the political
9 correctness to create jobs and to curb global warming.

10 Another of my EIS concerns is that, when
11 the beneficiaries entered the house to remove
12 memorabilia and select family heirlooms, a straight-
13 line crack was visible from one side of the house to
14 the other. Inspection proved that this was caused by
15 a shift in the supports from -- for the center beam on
16 the dirt floor of the basement. It is my
17 understanding that this has been remediated, but given
18 the hundred-plus years of the age of the house, it is
19 my opinion that any seismic activity, even for this
20 EIS investigation, drilling, and wellhead maintenance
21 in the fields near the house, might further exacerbate
22 the shift and cause structural damage to the
23 homestead.

24 I thank you.

1 MR. WHYTE: Thank you.

2 I want to remind folks, as we start to go
3 on here in the evening, written comments or comments
4 that are e-mailed or faxed are given the same weight
5 as those that are presented up here this evening. So
6 please bear that in mind.

7 Our next speaker comes off of the list
8 that signed up this evening, and it is Richard A.
9 Johnson.

10 MR. JOHNSON: My name is Richard A.
11 Johnson. Richard, R-i-c-h-a-r-d A. J-o-h-n-s-o-n.
12 Thank you.

13 My responses are going to be very short.
14 But I am in favor of this particular project because I
15 feel from my observations that it will help the
16 community. It will provide economic -- real economic
17 impact for us and also the educational aspect. We are
18 in the center of an educational center with the
19 colleges and state schools, and I feel that this --
20 the economic impact will be great along with the
21 educational impact.

22 Thank you.

23 MR. WHYTE: Thank you, Mr. Johnson.
24 I apologize. There was one more

1 preregistered speaker. John Rentz.

2 MS. RYKHUS: I spoke with John earlier on
3 the phone. He got called out of state on business.

4 MR. WHYTE: Okay. Please let Mr. Rentz
5 know that he can submit his comments with the other
6 way. Thank you.

7 The next speaker then is Bill Hawks.

8 MR. HAWKS: First of all, I won't be near
9 as long as these gentlemen and ladies were before me.
10 They obviously prepared and did their homework.
11 They're to be applauded definitely.

12 My name is Hawks, William Hawks.
13 W-i-l-l-i-a-m, Hawks, H-a-w-k-s, like a bird, from
14 Decatur, Illinois.

15 Mine's going to be very short. Just a few
16 notes I've been writing down as I've been listening to
17 these people. My wife and I -- it says -- they say
18 you're going to have monitors of the wells. We seen
19 your charts back there. People, I think you need to
20 move those monitors a lot farther out than the 2,500
21 acres they're talking about.

22 Why did you choose Morgan County to store
23 the CO2 when the sandstone formations are only 600
24 meters or approximately 2,000 feet thick in this area?

1 In Fayette County, which would be the preferred place
2 to do this, by the way, the sandstone locations are
3 1,800 and 2,400 meters or about 8,000 feet thick, a
4 lot more area to store your CO2 you have to store.

5 Third, you have picked the riskiest place
6 to store the CO2. So if there is a problem, what are
7 you going to do for the landowners? And I don't think
8 the \$100 million you have prepared is going to be
9 anywhere near enough in the future to take care of
10 anything that might come about.

11 Safety-wise: I was talking to the young
12 lady back here. She said, well, they pipe CO2 and
13 they pipe natural gas all over the United States.
14 Natural gas is a lot more dangerous than CO2. Well,
15 that's fine until the pipeline explodes. You have
16 natural gas -- that's true, a pipeline explodes. I've
17 seen pipeline explosions. I'm a 32-year veteran of
18 Decatur Fire Department. I've pulled people out
19 overcome by CO2. There are a lot less people killed
20 by natural gas, in a gas and natural gas explosion
21 pipeline, than there would be a CO2. CO2's heavier
22 than air. It's going to go -- travel quite a ways
23 before they get -- they got -- this system's going to
24 shut down right away. They can't shut it down quick

1 enough if it's in a populated area where people aren't
2 going to lose their life.

3 You say that natural gas or natural C --
4 natural CO2, this gentleman just said, hasn't come
5 above the ground. It's natural CO2 and hasn't come
6 above that vapor or barrier or that -- or layer.
7 They're saying it hasn't come above that. That's
8 correct. Again, that's natural CO2. It's not under
9 thousands of pounds of pressure and been put under the
10 ground.

11 There's no way you can guarantee that this
12 is going to not come up through the ground. There's
13 no way they can guarantee it. A gentleman from out in
14 California -- Kurt Zenz House is his name. He's the
15 proprietor or the head honcho of what's called C12
16 company in California -- said that Morgan County is a
17 very bad place to store this gas. It has no dome or
18 structure to contain the CO2. They say there is.
19 This gentleman disagrees. There's a lot of people out
20 there that disagree with it.

21 Could it be that this company has chosen
22 Morgan County, again, where there's only a couple
23 thousand feet of this stone to put this CO2 in, to
24 save money or costs? People, they can say what they

1 want, but it's not about jobs. It's about profit and
2 saving money to this company.

3 Thank you.

4 MR. WHYTE: Thank you.

5 I apologize if I don't pronounce this
6 correctly. Catherine Edmiston? If you'd like to
7 give -- if you'd like to remain seated, I can --

8 MS. EDMISTON: No, that's all right.

9 MR. WHYTE: Okay.

10 MS. EDMISTON: I live in an adjoining
11 county, but I also own family farmland -- part of it.

12 COURT REPORTER: I need your name. I'm
13 sorry.

14 MS. EDMISTON: I'm Catherine Edmiston,
15 E-d-m-i-s-t-o-n.

16 But I am a member of a group called
17 Citizens Against Longwall Mining, and my primary
18 concern is the coal-fired plant because coal is
19 destroying our streams in Illinois as well as our
20 farmland. The modern methods, longwall mining and
21 strip mining, has this effect on our farmland.

22 And we know -- I've been to the Bureau of
23 water of the IEPA at their annual meeting for the last
24 five years and have asked them the number of miles of

1 streams in Illinois. They put that out several years
2 ago in a book. No longer do they put it out. They do
3 not tell us. So we know that some of our fresh water
4 streams are probably being destroyed by mining, and
5 they don't want us to know about this. So I wanted to
6 let you know that. They should be keeping track of
7 the water that's lost in Illinois, and this is a big
8 problem that OSM should be handling for the sake of
9 the citizens of America and especially Illinois.
10 Modern mining destroys water, and once it's gone, it
11 is forever.

12 And then there's the problem of
13 contamination. Coal refuse cannot be stored in a
14 permanent structure and allowed to contaminate
15 groundwater, but it's happening in Illinois. These
16 refuse structures must be lined, but a new mine by a
17 coal mine in Macoupin County is going to be allowed to
18 dump its refuse in an unlined waste impoundment used
19 by the old mine, and there's a law that those waste
20 impoundments must be lined now. So how can the new
21 owner be permitted to do this? These are things the
22 public needs to know about coal.

23 Then the problem of storing CO₂
24 underground, which may be a dangerous way of burying

1 our problems. These federal stimulus funds are being
2 used, \$1 billion for Morgan County, Illinois, storage
3 place for CO2 for the Tenaska plant. It can be a big
4 problem, and you pointed that out in this testimony
5 very ably. How do we know it can be stored
6 responsibly and safely? Isn't it more practical to
7 spend these funds on alternative energy to make our
8 electricity?

9 Jacksonville has three colleges and a
10 school for the deaf and a school for the blind as well
11 as many citizens who are very concerned about this CO2
12 storage area only 3,500 feet underground. wouldn't
13 that \$1 million of federal stimulus funds be better
14 spent on developing alternative energy for this
15 electricity?

16 It's a well-known fact that coal mines in
17 Illinois are allowed to operate and endanger their
18 miners with many violations in their operations. Why
19 isn't something done about it? Now, this is a hearing
20 for the Office of Surface Mining. These are accidents
21 waiting to happen. How do you know this plant will
22 not be working with violations?

23 We are aware -- let's see. I don't
24 believe I'll bring that statement up. I was going to

1 bring up the fact that Illinois doesn't have a 2
2 percent tax on coal sold out of state and that could
3 bring in hundreds of thousands of dollars to the State
4 of Illinois, but we don't -- we don't charge that.
5 And there's 15 other states in the United States that
6 do.

7 why doesn't the Office of Surface Mining
8 take that into account and make a law that all states
9 should charge tax and the proceeds from that should go
10 for black lung disease expense, land reclamation,
11 abandoned mine sites that pollute, coal cleaning fees,
12 road repair which we're left with when a coal mine
13 pulls out.

14 Has OSM considered the studies of the
15 total cost of coal's impact on human health, plants,
16 animals, environment, global warming, and the negative
17 impacts on citizens in the community?

18 In regard to this public safety with
19 these schools for the blind and deaf and the three
20 colleges -- I had a relative go to one of your
21 colleges in Jacksonville, and I was impressed with it.
22 The people of Jacksonville as well as the farm
23 families of Morgan County are going to be very much
24 affected by this plant. what precautions will be

1 taken to evacuate Jacksonville and rural areas if
2 there is a leakage of this CO2? Have we thought about
3 that? Of course, if it -- because this gas -- CO2,
4 you know, as it's been pointed out, if it escapes into
5 a cloud, can do damage fast, and it's not like natural
6 gas. So this would be more dangerous because you can
7 smell natural gas. CO2 is odorless, colorless and --
8 so it too would be more dangerous than natural gas
9 if it escaped.

10 And that four-foot-underground pipeline --
11 we know about pipelines, don't we? We've had
12 accidents happen with those. And there's a big safety
13 factor here is one of the reasons I decided to speak.
14 What precautions will be taken to evacuate
15 Jacksonville and rural areas if such a -- if they have
16 the chance to escape with it from a pipeline leak four
17 feet deep?

18 Will there be -- you mentioned something
19 about compensation to landowners, if this pipeline
20 goes through that they will be compensated. Is that a
21 one-time payment or is it a lease payment? I guess no
22 one has an answer for that maybe.

23 MR. CAREY: Ms. Edmiston, we're running up
24 on time. We're running up on time if you could --

1 MS. EDMISTON: Yeah. I'm finished. Thank
2 you. Those are all my comments.

3 MR. CAREY: Thank you.

4 MR. WHYTE: Thank you.

5 The next speaker is Patty Rykhus? I got
6 it? All right.

7 MS. RYKHUS: I'm Patty Rykhus. Last name
8 is spelled R-y-k-h-u-s. You can say it; nobody can
9 spell it.

10 And I come to you here today from
11 Taylorville, Illinois. I want to give you a little
12 background on myself. I spent my first career as a
13 scientist, a histologist, and immunohistochemist.
14 That means I studied the human body as a whole, all
15 the organ systems, all the organs at the molecular and
16 cellular level.

17 My second career in life I was a -- became
18 a computer programmer, a system and business analyst.
19 So I'm kind of a geek wearing two hats.

20 And I wish I could feel better about this
21 project, FutureGen 2.0. I wish I could count on my
22 government: my local, county, state, and federal
23 elected officials. They all talk about the jobs this
24 project would create and seem to gloss over the

1 financial, environmental, and fiscal costs and risks.

2 I wish I could feel better about the
3 billions -- with a "B," billions -- of dollars
4 involved of public monies, our money, taxpayer money.
5 I don't think our government -- federal, state, or
6 local -- could balance a budget regardless of the
7 figure at the top of that spreadsheet. And I feel
8 that this project is an example of that logic. What
9 risks a private corporation wants to make with their
10 money is their business; however, when it's taxpayer
11 money, it involves all of us. When did supporting a
12 project like this become my responsibility as a
13 taxpayer?

14 with this project, the cost of the
15 collateral damages are immense: from coal mining, all
16 the way through to the energy outputs, ash pond
17 storage, the carbon capture and sequestration, and
18 byproduct chemicals created.

19 The Chinese refer to what we call the
20 clean coal industry as the coal chemical industry, and
21 don't you wonder why? I challenge the Department of
22 Energy to respond to it in the same manner and with
23 the same honor as the Chinese do.

24 I wish I could understand the economics of

1 this project and understand why, if coal mines and
2 coal-fired power plants are the answer to Central
3 Illinois's financial situation, why aren't eastern
4 Kentucky and western -- and West Virginia prosperous
5 areas? Have the depletion of the natural resources
6 there led to the attempt of resurgence of the coal
7 industry here?

8 I wish I could feel better about the
9 carbon capture and sequestration. I'd like to
10 understand why, when version 2.0 of the FutureGen came
11 out, the first thing I noticed in the press was the
12 profit-making corporations involved scrambling to
13 limit their liability from the CO2 pipeline and
14 sequestration.

15 Now, as I understand it, there are four
16 layers of liability protection surrounding the
17 nonprofit alliance for a process that is supposed to
18 be safe. Safe, depending on who you talk to, whose
19 study you read, and ultimately who financed that
20 particular study.

21 Financially, just how many clean coal or
22 coal chemical projects can we in Illinois afford? I
23 have watched the legislative process. I have read the
24 legislation written for or by the corporations

1 involved: Leucadia, Power Holdings, Tenaska, and,
2 yes, those associated with FutureGen 2.0. To me, it
3 appears they design their project to fit some mythical
4 structure using company A's boiler or gasifier and
5 matching it with some other proprietary equipment so
6 they'd be just different enough to qualify as unique
7 enough for the incentives. So my question to all
8 would be just how many of these multibillion dollar
9 projects can we really afford?

10 And is there really a master plan for the
11 energy needs of our country? The incentives change
12 from project to project, all at taxpayer and rate
13 payer expense, at the federal and/or the state level.
14 The players change, but the game stays the same. As a
15 taxpayer, a rate payer, and a citizen, I am tired of
16 the game.

17 The sad part of it all is I feel we're
18 taking a step back, not a step forward, and missing a
19 great opportunity to develop new sources of energy. I
20 feel we're back in the 1970s trying to revive an
21 industry that was on life support. Coal and coal-
22 based power plants are huge producers of toxic waste.
23 Just because you change the location of where the
24 waste is going doesn't mean you're still not producing

1 it. From the CO2, to the sulfur, mercury, lead, the
2 list goes on and on. I think the Department of Energy
3 owes it to us to show a flow of all of the waste
4 streams and not just the politically correct or the
5 public relation coined phrase for the CO2.

6 I'd also like to talk just shortly about
7 the three sites that are involved in the sequestration
8 and the hearings that are going on the scoping. I
9 feel the current project structure kind of pits us
10 against each other whether you are in support or in
11 opposition. Is that the way this was intended with
12 the three sites? If the political or environmental
13 heat gets too hot in one place, would the site just
14 move? And how would that decision be made? Is it
15 going to be made on the economics of the price of the
16 pipeline? Is it going to be made on the quality of
17 the sequestration site? My question is how is that
18 decision made?

19 And here's my basic closing opinion to the
20 people: Not in my backyard, not in their backyard,
21 and not in your backyard. I cannot and will not
22 support a coal chemical power plant because they
23 simply do not exist.

24 MR. WHYTE: Thank you.

1 The next speaker Alan Rider.

2 MR. RIDER: Alan Rider. A-l-a-n, Rider,
3 R-i-d-e-r.

4 Thank you.

5 First of all, I'd like to thank Department
6 of Energy personnel for answering my questions very
7 straightforward. I'd also like to thank the Ameren
8 people who have also answered my questions
9 straightforward, and I do appreciate that, and I want
10 to thank them for that, as I'm obviously doing.

11 I have condensed my comments, in the
12 interest of time, and I will not speak fast so you can
13 get this properly recorded, and I will also enter
14 comments through other methods in the interest of
15 time.

16 All the people in this room know that we
17 need to do something with our energy policy, but we're
18 not sure how we can influence the big picture, if, in
19 fact, we can influence it at all. But we do what we
20 can with new technologies and government programs. I
21 could get -- I had a list of ten different things.
22 I'm not going to go into those, but things like
23 insulating your homes, buying hybrids, that sort of
24 thing. And those are a result of a lot of

1 technological improvements and also government
2 programs, specifically, but not exclusively, tax
3 incentives, for example, that I have taken advantage
4 of.

5 But a lot of us, myself included, see
6 FutureGen as an attempt to save an old established
7 industry. Please convince me otherwise. I'm not so
8 sure you can. We wonder why more money is not
9 directed to clean energy, including solar and wind.
10 After all, we put people on the moon, we sneak into
11 other countries and kill people. We have a hell --
12 excuse me -- we have a lot of technology that we can
13 use if we devote our resources to it.

14 And I understand this project is an
15 attempt to evaluate another source of energy that is
16 potentially safe and clean for the environment. What
17 scares me is when I hear what some parts of our
18 government says, what some politicians say and do. We
19 have climate deniers, we have big oil, we have big
20 coal pouring millions of dollars into protecting what
21 I see, as a private citizen, is an old dirty
22 technology and holding back progress that makes me
23 skeptical and concerned about the future for all of us
24 tonight and our country both now and in the future.

1 The Alliance has got a lot of different
2 players. If the Alliance could somehow sit with these
3 big oil, big coal, and some parts of our political --
4 some of our political leaders and have an adult
5 conversation about our energy policy that involves
6 progress, they could do wonders for what they're
7 attempting to do here.

8 And I ask -- I ask do we as a country, do
9 we as a government, do we as a people have the courage
10 to make decisions that future generations will thank
11 us for or will they ask what were they thinking?

12 Thank you.

13 MR. WHYTE: Thank you.

14 The next speaker that signed up and then
15 the name was crossed off was Pat Boldt.

16 MS. RYKHUS: She left early.

17 MR. WHYTE: She left? Okay.

18 Next speaker is Reginald Jordan.

19 MR. JORDAN: Hi. Reginald,
20 R-e-g-i-n-a-l-d, Jordan, J-o-r-d-a-n.

21 I didn't expect to speak tonight, but I
22 thought I'd take the opportunity. I prepared some
23 things, but I'm going to squash that and just speak
24 from the heart.

1 we've had some very compelling data.
2 Frankly, I haven't done my research. I don't know all
3 the statistics, the specifics. So I'm going to deal
4 in what we do know. We do know that every new
5 technology is unknown. Everything has inherent risks.
6 So we weigh those risks against a cost benefit
7 analysis. We do know this: The U.S. is awash in
8 natural resources -- coal, natural gas, oil. It takes
9 effort to get to those things. We know that we rely
10 on the Middle East and other areas of the world for
11 our oil and other resources because of environmental
12 efforts and other things that cause our efforts to be
13 delayed to be more self-reliant.

14 So, again, I don't have all the statistics
15 that the other speakers have had. They've had very
16 compelling testimony which frankly caused me to
17 reevaluate things. I do support FutureGen 2.0. I see
18 the potential long-term benefits could be tremendous.
19 Again, there are always risks involved. You weigh
20 those risks. When you weigh those risks against the
21 reality of our situation, you need to consider that
22 moving forward.

23 At this time I support FutureGen 2.0. It
24 could provide a way to tap these vast coal reserves,

1 do it in a clean, efficient manner. I would also say
2 people have mentioned solar power and wind. I hate to
3 use the cliché of "Drill, baby, drill," but I support
4 any -- any and all forms of getting energy. The fact
5 is that wind and solar are highly inefficient, very
6 expensive sources of energy. I know, if you go by
7 Peoria, you see all these wind farms and stuff.
8 That's fine. I've heard that on the East Coast all
9 the, let's say, more far left people who would you
10 think support wind, I've heard and read that they
11 don't like the wind turbines, whatever you want to
12 call them, because they're not aesthetically pleasing.
13 Okay?

14 So we need to weigh these things when we
15 make our decision. At this point I think that the
16 benefits to this outweigh the risk and could be a
17 tremendous long-term boom economically and otherwise,
18 environmentally, to the region.

19 Thank you.

20 MR. WHYTE: Thank you.

21 The next speaker is Joyce Blumenshine.

22 MS. BLUMENSHINE: My name is Joyce,

23 J-o-y-c-e, Blumenshine, B-l-u-m-e-n-s-h-i-n-e.

24 I am a volunteer with Illinois Sierra

1 Club, and I have some questions and comments. And I
2 do want to thank the DOE and their staff for the
3 opportunity of this hearing.

4 It is my understanding that the
5 environmental impact statement (EIS) must provide a
6 full and fair discussion of significant environmental
7 impacts and shall inform decision-makers and the
8 public of the reasonable alternatives which would
9 avoid or minimize adverse impacts or enhance the
10 quality of the human environment, and these include
11 direct effects from the proposed project as well as
12 indirect effects from the proposed project.

13 So I specifically ask the DOE in their
14 study to consider alternatives and that's been
15 mentioned earlier, but there does really appear to be
16 a glaring omission here in the lack of consideration
17 for alternatives involving energy efficiency and
18 renewable energy projects.

19 I'd like to speak particularly to a couple
20 of the listings under the EIS that must be considered.
21 And, number one, under solid wastes, when we talk
22 about zero emission, there's a huge entity that hasn't
23 been really brought forward. I specifically request
24 the DOE to assess and analyze the amount of coal ash

1 waste from this type of project, where this waste will
2 go, what are the potentials for human habitat and
3 other detrimental effects from coal ash, what are the
4 cumulative toxic liabilities of the coal ash, and the
5 cost to the public versus the companies of coal ash
6 management. Currently in the United States, coal ash
7 is not treated as a hazard toxic waste, which it is.
8 It has heavy metals, mercury, hexavalent chromium, and
9 many other toxins, and we need this ash to be
10 considered in the complete analysis of this plant.

11 Another issue is the biological resources.
12 I specifically request the DOE to assess the potential
13 impacts on not only the local streams and water
14 resources but the streams and water resources, as
15 Ms. Edmiston mentioned, of areas in Illinois currently
16 under coal mining production and coal mining being
17 developed because we have in Illinois, for example, in
18 Montgomery County just east of here, a 4,000-acre
19 longwall coal mine which will subside acres of our
20 prime national resource heritage and resource-
21 essential productive farmland.

22 This farmland will be dropped an average
23 of 5.7 feet through longwall mining, and that's not
24 even -- longwall mining, for those who are not aware,

1 takes out all the coal seam, but to get to the coal
2 seam, the coal companies have to have room and pillar
3 avenues. So you have room and pillar avenues
4 supporting the surface, and then between the surface
5 for three miles long and up to 12,000 feet wide is a
6 trough which is sunk. So for farm families who have
7 spent centuries and generations of hard labor to make
8 high quality, productive, efficient farmlands,
9 longwall mining will forever change the topography of
10 our national resource rich essential heritage of
11 highly productive farmlands, and this is happening now
12 in Illinois. Currently in Montgomery County, 4,000
13 acres are permitted for this mining. 120,000 acres
14 potentially could be harmed in one county.

15 Southern Illinois: Another longwall mine
16 is permitted for 10,000 acres of subsidence. This
17 will have detrimental impacts on the IDNR, Illinois
18 Department of Natural Resources, listed biologically
19 significant streams, and no one is telling the cost of
20 this particular project and its takings of the
21 resources of this state and also other areas which
22 show potential for this site.

23 Many excellent comments have been made
24 about the lack of efficiency of the utilization of

1 coal to produce energy here, how wasteful this project
2 is. I specifically request the DOE include in its
3 analysis the complete costs, not only of the coal to
4 be burned in this plant but the cost of the complete
5 energy used for sequestration, the cost of the
6 complete energy used for building this pipeline, and
7 the cost for complete energy used of the potential of
8 the other processes, including hauling the coal or
9 whatever other necessary products are required for
10 this.

11 Just a few other points toward closing
12 here. There is a huge environmental justice problem
13 with this project. Environmental justice means the
14 protection of the environmental rights of people and
15 animals and all of us to a clean and healthy
16 environment for now and for future generations.

17 And I question if the building of
18 pipelines takes into account the tragic impacts on the
19 farm families or other families and homes whose
20 historical properties are impacted by either having to
21 move or being disrupted. No one in this state or I
22 think in this country is taking into consideration the
23 full environmental impacts of coal mining on the
24 families whose homes are going to be subsidized or

1 families who are being moved off the land.

2 And, again, I ask the DOE to do specific
3 analyses in Illinois on the rural impacts of coal
4 mining that is decimating the rural populations of
5 Montgomery County, Macoupin County, and other counties
6 where coal companies go in, buy up the farms, move the
7 families out, and, gentlemen and ladies, we are
8 depopulating large sections of our vital Illinois farm
9 heritage and families due to coal mining. This is a
10 tragedy.

11 I thank you for your time and attention.
12 This plant has many, many deficits that have been well
13 spoken to tonight, and I'll end with this.

14 MR. WHYTE: Thank you.

15 The next speaker is Terry Denison.

16 Mr. DENISON: Terry, T-e-r-r-y, Denison,
17 D-e-n-i-s-o-n.

18 Good evening, everyone. Thank you,
19 Mr. Whyte.

20 My name is Terry Denison. I am president
21 of the Jacksonville Regional Economic Development
22 Corporation. I'm also a Vietnam-era veteran, and,
23 wow, what an evening. This has been quite an evening,
24 and I guess only in America can this kind of dialogue

1 take place, and so I'm proud to be an American for
2 being able to do this.

3 I also think that I realize that it's
4 really amazing what can be found on the Internet
5 nowadays. I don't know what we would have done
6 without -- without the world wide web that we now
7 have.

8 I also want the DOE to be aware of and to
9 know that there are a lot more citizens in this
10 community who are for this project than what you're
11 hearing this evening. That can be proven quite
12 easily, and I just want you to know that it's not all
13 doom and gloom, that there is a lot of folks that's
14 very much in favor and very supportive of this
15 project.

16 we were the lead agency that led the
17 Morgan County effort to submit the application to
18 FutureGen. We did do our due diligence, and we felt
19 very comfortable with the project as we pursued it,
20 and we still feel very comfortable. We think
21 Mr. Humphreys and the FutureGen Alliance have been
22 open, and they've been honest, and they've been up
23 front with us in every step of the way, and I think
24 they will continue to be that way.

1 A question that I have for all of you and
2 particularly for DOE that I would like for them to
3 answer is what will be the cost environmentally and
4 dollar-wise if we don't do this project? we still
5 have CO2. It still contributes to gas -- or warm --
6 greenhouse gas. Something's got to be done. So I'd
7 like an answer to what do we do if we don't do this
8 project?

9 Jobs have been talked about. The jobs
10 that -- they talked about 2,000 construction jobs.
11 That's not true. It's a thousand construction jobs
12 and a thousand -- what they refer to as indirect jobs.
13 Someone mentioned hotels, restaurants, new businesses.
14 That's where the thousand indirect jobs will come.
15 Those are not exact figures. There's no way -- in any
16 economic development project that I've ever worked on,
17 it's always been a range of jobs. This is a range of
18 jobs. This is not something in writing that Ken
19 Humphrey's has signed and said I guarantee you 1,000
20 construction jobs, 1,000 this, so on and so forth.
21 But this community needs new jobs. It needs a new
22 niche. It needs something that -- we've had some
23 maturing industries that have closed, and we need to
24 keep moving forward and looking at things. So we're

1 doing the best we can. Jobs will be created.

2 It will attract more industries and more
3 jobs. Just think that if we become -- and I know
4 someone said about the visitors. I'm not sure again
5 either whether it will be 300 visitors a year or not,
6 but I'm sure there will be some visitors coming in to
7 look at this. I do know that the geology of China is
8 very similar to what we have here, and China is
9 building more power plants than any other country in
10 the world right now. I expect there will be a few
11 folks from China come to look at this plant or this
12 project.

13 And I also -- I just want you to know
14 that, if there was ever a project that's going to be
15 put under a microscope and watched, it's going to be
16 this one. Every step of the way we're going to be
17 seeing exactly what's going on. Ken mentioned a while
18 ago that there's going to be monitoring processes.
19 Someone mentioned it needs to be bigger. They will do
20 whatever is necessary, and they'll be following that
21 CO₂ as it starts to spread out in the formation and
22 adjustments will be made -- safe adjustments to take
23 care of the environment and take care of the people.

24 The other thing I want to close with is

1 that all of the things that have been mentioned
2 tonight -- that's been mentioned tonight has been, is,
3 and will be addressed as this project moves forward.
4 It appears that there is still a lot of misinformation
5 that needs to be addressed and corrected, and I know
6 it will be.

7 Thank you.

8 MR. WHYTE: Thank you.

9 Next speaker is Ginny Fanning.

10 MS. FANNING: G-i-n-n-y F-a-n-n-i-n-g.

11 I'm Ginny Fanning, and I'm here
12 representing the Jacksonville Area Chamber of
13 Commerce. Here to let you know that FutureGen 2.0 has
14 the chamber's endorsement. Reasons being are many.
15 we definitely are cognizant of the job aspect that
16 this is going to bring. We realize that that number
17 is not a definite number that we know of right now,
18 but we talk about the construction people that will be
19 coming here, that will be buying things, that will be
20 staying here, and the long-term jobs that there is the
21 potential for.

22 we have two private colleges and a
23 community college here in our community. They have
24 the opportunity to have our students learn new skill

1 sets, to learn new occupations, and hopefully keep
2 those young people right here in our community.

3 And so we're very excited about the
4 economic opportunity that it has, not only for
5 Jacksonville but for Meredosia to be able to keep that
6 plant open and to have the economic support that this
7 will bring to our entire county.

8 The tourism aspect will be huge. If we
9 have people coming in from all over, Jacksonville --
10 they won't even be looking at just FutureGen, but we
11 have a lot to offer here as far as our own sites for
12 people to see and to be able to promote what we have
13 here as far as Looking for Lincoln, our historical
14 society that is so important with Governor Duncan and
15 Grierson. So we have a lot to offer the entire world.

16 And then part of that too will be the
17 development of this clean energy technology. This is
18 huge for our entire world, and we have the opportunity
19 to be a part of what all of this is going to be about.

20 I appreciate FutureGen's website. I hope
21 you go to that. I especially enjoy the Community
22 corner where we can ask our questions and they will
23 respond to those. And there's some very good
24 information. So I hope you'll go to that and be a

1 participant in that so that we can hear the pro and
2 the con and be able to look at what's being said on
3 both sides.

4 Tomorrow they're meeting with our agro-
5 industry division. They're very open, and they want
6 to meet with you and have coffee get-togethers. I
7 want you to know that the chamber is here to help with
8 educational aspects any way we can and support this
9 project.

10 MR. WHYTE: Thank you.

11 That concludes the list of folks who
12 registered to speak this evening. Before we go back
13 to the speakers that we cut off a little earlier, is
14 there anyone who didn't register tonight to speak who
15 would like to say a few words?

16 I'll remind you all again that you can
17 utilize the comment forms in the back to submit
18 written comments, e-mails, what have you.

19 At this point I'll specifically ask, I
20 believe, Mr. and Mrs. Niemann. I think you were the
21 two that we had to cut a little short. would you like
22 to come back up and finish your remarks?

23 MR. NIEMANN: No, I think I pretty well
24 summarized what I felt.

1 MR. WHYTE: Ms. Niemann?

2 MS. NIEMANN: I'm fine.

3 MR. WHYTE: Okay.

4 Anybody else who spoke previously who
5 would like to say a few more words this evening?

6 Okay. We have a few. Yeah, there are three of them.

7 Mr. Davenport, I believe your hand was up.
8 Work our way left to right. Again, sir, we'll ask you
9 to keep your testimony under five minutes, please.

10 MR. A. DAVENPORT: I just have a comment
11 on selecting the sequestration site. There's only a
12 very few people in our neighborhood that were willing
13 to sign off on this. By far the majority of the
14 landowners and farmers out in our area oppose this
15 project. I don't know if that's been brought up
16 enough. We tried to make the media aware of that, and
17 it's not been brought to the public's attention very
18 well through that, those sources.

19 One of my biggest concerns is, as farmers,
20 we do a lot by raising our crops to solve the carbon
21 dioxide problem. Our crops absorb a lot of CO₂, and
22 we don't get any credit for that, and we are the
23 people that have to put up with the waste site, not
24 the people in Jacksonville.

1 I am proud to be a Morgan County resident,
2 and I realize the amount of money that's involved in
3 this and how it could benefit the community. But
4 we're the people taking the risks, not you people here
5 in town. This is going to be under our farm homes.

6 Thank you.

7 MR. WHYTE: Mr. Jordan.

8 MR. JORDAN: This will be quick. First of
9 all, I'm not a farmer. I've had family who have been
10 farmers. So I honestly cannot relate to the emotions
11 that you all have. That's why I was so impressed with
12 your testimony. It appeared to be very, as I said,
13 compelling. I don't know the truth of it, but for
14 what it is, I thank you for incredibly hard work that
15 you do for our county and community and for the
16 country because it's -- I can't imagine how tough of a
17 job it must be. So no matter how this pans out, thank
18 you for all the hard work that all the farmers do.

19 Kind of a rhetorical question. How many
20 of us took a solar powered car here? Or how many of
21 us have our homes powered by wind power? I'm going to
22 guess none of us do. So we can talk about how
23 idealistic and how wonderful it would be to have these
24 perhaps cleaner sources of energy, but, again, solar

1 and wind are highly, highly inefficient. I don't have
2 statistics, but I just -- that is just how it is.

3 So coal can be made clean. Oil can be
4 drilled more safely. Apparently up in Alaska, ANWR --
5 I believe this to be true -- I think they've said that
6 if ANWR were to be drilled, it has the environmental
7 effect of a postage stamp on a football field.

8 As technology improves, your means to
9 access this energy source improves. 10, 15 -- you
10 know, 50, a hundred years ago we couldn't have done
11 that, couldn't have this clean coal technology. So,
12 again, there is risk involved in everything that is
13 new technology. Cost benefit analysis. And at this
14 time I favor this risk because of the long-term
15 benefits could be unbelievable for the community and
16 for the world at large.

17 MR. WHYTE: Before we get to our last
18 speaker this evening, I want to echo some sentiments
19 that were expressed earlier, and that is the respect
20 with which we've treated each other this evening. I
21 appreciate the fact that everyone's had an opportunity
22 to speak and that everyone's been respectful during
23 those -- for each speaker. So with that, our last
24 speaker of the evening will be Ms. Rykhus, I believe.

1 MS. RYKHUS: Earlier this evening I had
2 the pleasure of talking to John Rentz, the mayor of
3 Meredosia. He had been called away on business. And
4 there are several questions he wanted to ask, and I
5 kind of explained the process to him. So he'll be
6 submitting a written statement.

7 One of the questions he wanted me to ask
8 here was what will the ultimate cost of a megawatt of
9 electricity from the FutureGen 2.0 plant be? He's
10 wanting to kind of understand, you know, the costs and
11 the benefits there. He had other questions, but he'll
12 submit those.

13 Going back to my history as a business
14 analyst and as a scientist, I looked at the flows of
15 the business of the coal and the oxygen from the air
16 separation unit. One pathway they didn't talk about
17 was air is 80 percent nitrogen, 20 percent oxygen.
18 what is happening to the nitrogen? The trend in the
19 industry is any valuable byproduct often is enhanced
20 and a profit made off of it. It is sold.

21 I know my concerns in Taylorville with the
22 Taylorville Energy Center was that the nitrogen from
23 our air separation unit being taken across the fence
24 line into an anhydrous ammonia processing plant. Is

1 that the case here? I don't know.

2 when you look at the amount of sulfur that
3 will be captured that would normally have gone up the
4 smokestack before, I have some statistical analyses,
5 but I wasn't real sure what the volumes at this plant
6 would be. So I have the volumes at the Taylorville --
7 proposed Taylorville Energy Center which will be using
8 2 million tons of coal per year, and it came out to
9 80,000 tons of sulfur. While I'm glad it's not going
10 up a smokestack, in our case it also looks like the
11 proposal will be that that sulfur will either be sold
12 as an element -- sulfur packed into tanker trucks and
13 carted off in special tankers that have to be under
14 high pressure and heated. So I didn't think that was
15 a very viable disposal route.

16 And as I was looking through the ICC
17 paperwork that Tenaska filed in our case, they're
18 already in talks of bringing a sulfuric acid
19 processing plant across the fence, and while I don't
20 want to live downwind of an anhydrous plant and I
21 don't feel like living downwind of a sulfuric acid
22 processing plant, you know, that could be your choice,
23 but it wasn't one of mine.

24 Financially, what I've seen in the

1 industry is some of the coal -- clean coal plants use
2 that money to offset the cost of the power produced
3 while others do not. So this is your time to speak
4 out to say what is happening with these other possible
5 revenue streams? Where are these products going? How
6 are they going to be used? And is it going to offset
7 the high cost of the power being produced?

8 If anybody here wants to see, I've got an
9 analysis of the Illinois Herrin No. 6 coal, and we can
10 run some quick figures if you want to see what's in
11 these other byproducts or contaminants and the volumes
12 that you can expect to see here.

13 Thank you.

14 MR. WHYTE: It's been quite an evening.

15 Thank you, everyone, for being here. I
16 appreciate those who spoke. Appreciate the way that
17 everybody handled themselves this evening.

18 Final reminder: There are written comment
19 sheets still available back there that have the
20 information. You can still submit comments through
21 June 22nd to me.

22 And this concludes the formal session of
23 the public scoping meeting for FutureGen 2.0. Let the
24 record show that this meeting adjourned at 9:30 P.M.,

1 and we will be around to try to answer any additional
2 questions one on one for a short while.

3 Thank you.

4 (Meeting adjourned at 9:30 P.M.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

CERTIFICATE OF REPORTER

STATE OF ILLINOIS)

) ss.

COUNTY OF SANGAMON)

I, ROBIN A. ENSTROM, a Registered Professional Reporter, Certified Shorthand Reporter, and Notary Public within and for the State of Illinois, do hereby certify that the foregoing public scoping meeting was taken by me to the best of my ability and thereafter reduced to typewriting under my direction; that I am neither counsel for, related to, nor employed by any of the parties to the action in which these proceedings were taken; and further that I am not a relative or employee of any attorney or counsel employed by the parties thereto, nor financially or otherwise interested in the outcome of the action.

Notary Public in and for
the State of Illinois