

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

FUTUREGEN 2.0 PROGRAM
PUBLIC SCOPING MEETING

IRONHORSE GOLF CLUB
2000 IRON HORSE DRIVE
TUSCOLA, ILLINOIS
JUNE 8, 2011

Representatives:

Mr. Cliff Whyte, Department of Energy
Mr. Jeff Hoffmann, Department of Energy
Mr. Michael Long, Ameren Energy Resources
Mr. Gordon Beeman, FutureGen Alliance

Court Reporter:
Jennifer L. Crowe, CSR
Illinois CSR #084-003786
Midwest Litigation Services
15 S. Old State Capitol Plaza
Springfield, Illinois 62701
217-522-2211
1-800-280-3376

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

I N D E X

Speakers:	Page
Cliff whyte	3, 22
Jeff Hoffmann	7
Mike Long	14
Gordon Beeman	18
Citizen Barbara Brehm	27

1 (On the record at 7:06 p.m.)

2 MR. WHYTE: Let's go on the record.

3 welcome to the Department of Energy's public scoping
4 meeting for FutureGen 2.0. Let the record show that
5 the meeting began on June 8th, 2011, at 7:05 p.m. at
6 the Ironhorse Golf Club in Tuscola, Illinois. First
7 I'd like to thank the golf club for letting us use the
8 facility and thank all of you for being here this
9 evening.

10 As part of its compliance with the National
11 Environmental Policy Act, or NEPA, DOE has determined
12 that an Environmental Impact Statement, or EIS, should
13 be prepared for this project. The EIS will analyze
14 and describe the potential environmental impact and
15 project alternatives. This scoping meeting is for the
16 FutureGen 2.0 project. FutureGen 2.0 is not the same
17 project as considered under the original FutureGen,
18 although it does share common -- several common
19 concepts such as carbon capture and storage.

20 In addition, although DOE has or is
21 considering supporting other projects in the area such
22 as the Taylorville Energy Center, these projects are
23 not part of, nor related, to the FutureGen 2.0
24 program.

1 One of the first steps in preparing an EIS is
2 to conduct public scoping meetings. A public scoping
3 meeting is basically the opportunity for the public to
4 participate in the evaluation of possible
5 environmental impacts associated with the proposed
6 project. More importantly, it is an opportunity for
7 us at DOE to listen to your concerns about the
8 proposed project. Those concerns may be environmental
9 issues, economic impacts, social matters, health and
10 safety concerns.

11 Our goal tonight is to determine the major
12 topics that we need to include in the environmental
13 impact statement as we write it.

14 For your convenience there are comment sheets
15 available back where we signed in, and those can be
16 used to provide written comments. Written comments or
17 comments that are delivered orally this evening or
18 mailed to me or emailed to me or faxed to me are given
19 equal weight in the process. None is considered more
20 important than the others.

21 Also on that comment sheet you have an
22 opportunity to indicate if you would like to get a
23 copy of the draft Environmental Impact Statement when
24 it is available. You may wish to obtain a hard copy

1 of that or hard copy summary. Some of these documents
2 tend to be fairly large, so think of your mailman.
3 we also provide you an opportunity to click on a link
4 on the Internet to be able to read it in electronic
5 format and print out sections if you would like.

6 During the informal session earlier this
7 evening we had a number of experts in the back and a
8 number of different pieces of this project that are
9 laid out in posters, and it is very important that we
10 have that opportunity to spend one-on-one time with
11 the folks who are interested in understanding the
12 project.

13 It was -- hopefully you found it helpful. I
14 know that I did. It was good to be able to meet all
15 of you. I think I got the opportunity. And after we
16 finish the formal part of the presentation this
17 evening, the formal comments, we will also stay around
18 for awhile if anybody wants to continue to ask some
19 specific questions.

20 During the formal session this evening we are
21 going to give you just a little bit of history into
22 FutureGen. Also, Ameren Energy Resources and
23 FutureGen Alliance are going to present an overview of
24 their pieces of the project. I'm going to give a

1 brief presentation about the NEPA process and talk a
2 little bit about the anticipated schedule, and then we
3 are basically going to turn the program over to you.
4 We are going to go through, and any speakers who have
5 signed up will be given the opportunity, and those who
6 decide later this evening to give comments are welcome
7 to do so.

8 Again, comment sheets are available in the
9 back if you would like to use those, and the comment
10 period for the scoping process closes on June 22nd,
11 2011, which is a Wednesday. So there is still some
12 time even after this evening for you to if you -- even
13 if you give comments this evening, if you think of
14 something on the way home or over the course of the
15 next several days, please use the contact information
16 on the sheets and submit your thoughts.

17 Before we proceed with the presentations this
18 evening, I would like to acknowledge the fact that the
19 Mayor of the Village of Arthur joined us this evening,
20 Matt Bernius. Thank you for being here.

21 Also I'd like to introduce some of my
22 colleagues here. You'll see Tom Sarkus who is our
23 division director at DOE, NETL; Jeff Hoffmann who is a
24 project manager at the Department of Energy; Nelson

1 Rekos seated over there. He is a project manager with
2 the Department of Energy. Mike Long is the plant
3 manager at Ameren. Steve Whitworth is the manager of
4 environmental services; Mitch White is the plant
5 technical services supervisor; Brian Martin is the
6 environmental scientist.

7 With FutureGen Alliance we have Mr. Gordon
8 Beeman. We also have Gretchen Hund and Sallie
9 Greenberg here. Gretchen is the stakeholder
10 involvement manager, and Sallie is with the State of
11 Illinois Geological Survey.

12 I'd also like to thank our friends at PHE,
13 Potomac-Hudson Engineering. They're the contractor
14 that's working for DOE on this project as far as
15 writing the Environmental Impact Statement. We have
16 with us Fred Carey who is the president of PHE,
17 Cynthia Ong who is the assistant project manager, and
18 we also have Andrea Wilkes and Amanda Tyrrell. They
19 have done an outstanding job in keeping us organized
20 and moving forward here this evening.

21 Now it is time for a few presentations and to
22 have a discussion of DOE's role and a little bit of
23 background. Here is Jeff Hoffmann.

24 MR. HOFFMANN: Thanks, Cliff. Can

1 everybody hear me? Good.

2 I just want to start off, talk a little bit
3 about FutureGen 2.0. I will start by saying that the
4 US Department of Energy has awarded approximately
5 \$1.05 billion for the FutureGen 2.0 program.

6 Contractually the FutureGen 2.0 program is
7 broken into two cooperative agreements; one with a DOE
8 award of approximately 590 million to Ameren, Babcock
9 & Wilcox and American Air Liquide, and the scope of
10 that cooperative agreement is to cover the
11 oxy-combustion testing and technology basically within
12 the plant fence line of the Meredosia power plant.
13 Nelson Rekos, as Cliff introduced, is the project
14 manager of that piece of FutureGen 2.0.

15 The US Department of Energy has also awarded
16 approximately 460 million to the FutureGen Alliance to
17 develop the transport and geologic storage component
18 of FutureGen 2.0. That represents the pipeline, the
19 geologic storage field and the associated visitor
20 education and training facility. Combined with 100 or
21 \$1.05 billion and the private share contribution by
22 the Alliance, Ameren, Babcock & Wilcox, American Air
23 Liquide, the total project value is approximately \$1.3
24 billion.

1 The FutureGen 2.0 project has several
2 objectives, some of which include the validation of
3 the technical feasibility and economic viability of
4 near-zero emission energy developed, derived from
5 coal. It also intends to verify the effectiveness,
6 safety and permanence of CO2 sequestration in a deep
7 saline formation.

8 In addition it intends to establish
9 standardized technologies and protocols for CO2
10 management, verification and accounting, typically
11 referred to as MVA, and also to gain domestic and
12 global acceptance of FutureGen 2 concept with the
13 intention to facilitate broad deployment of
14 oxy-combustion coupled with CCS both for new and
15 re-powering existing coal-based power plants.

16 I'd also like to take a moment and explain how
17 FutureGen 2.0 fits into the Department of Energy Major
18 Demonstration Program. The DOE has been conducting
19 major demonstrations for at least the past 25 years.
20 Of those technologies that have been demonstrated,
21 many on large scales, 100, 200, 500 megawatts, have
22 made its way from pre-commercial development stage to
23 widespread commercial deployment based on or with the
24 assistance of DOE funding.

1 FutureGen 2.0 will be fitting in towards the
2 tip of the arrow representing a clean, low carbon,
3 near-zero emission power option for the fleet of
4 tomorrow including the re-powering of the existing
5 fleet of today.

6 This slide here captures many of the carbon
7 capture and sequestration projects that are currently
8 being funded out of the Department of Energy National
9 Energy Technology Laboratory, which what is important
10 to mention here is of the ten or so projects that are
11 included here, they represent a broad span of
12 technologies as well as sequestration formations.
13 Included here are integrated gasification combined
14 cycle coal plants, or IGCC technology that was
15 originally intended for FutureGen at the Mattoon plant
16 as well as post-combustion capture and with FutureGen
17 2.0, oxy-combustion technologies, CO2 capture and
18 sequestration.

19 I'd also like to distinguish of the many
20 technologies, projects that are depicted here, most of
21 them are looking at sequestration in enhanced oil
22 recovery where CO2 can promote the additional
23 extraction of oil from secondary recovery fields.

24 what is important that I want to point out, of

1 the ten or so projects here, only three of them are
2 representing sequestration in saline formations.
3 FutureGen 2.0 is one of those.

4 I'd like to talk a little about carbon
5 sequestration. You saw the video before we started.
6 There is several different ways of capturing and
7 storage of carbon. One of them is terrestrial capture
8 and storage that was mentioned where CO₂ is absorbed
9 from the air and stored in trees, grasses and soils.

10 Another method and what is important and what
11 we are trying to test and evaluate here is point
12 source capture. Point source capture can be from a
13 number of different sources including power plants
14 like we intend to do at the Meredosia power plant as
15 well as ethanol plants, chemical plants, cement,
16 steel, refineries, natural gas processing plants.

17 I'd also like to mention that the Decatur ADM
18 plant is an ethanol plant that represents an
19 application of carbon capture and storage, and as with
20 geologic storage there is a number of different
21 formations that can be -- that CO₂ can be stored in
22 including saline formations that we intend to
23 demonstrate here with FutureGen as well as depleted
24 oil/gas wells, unmineable coal seams and other

1 formations.

2 I can't stress the importance of the
3 demonstrating improving permanent, safe sequestration
4 in saline formation.

5 This slide here represents some findings from
6 what we refer to as the National Atlas of Carbon
7 Capture and Storage or Carbon Storage Opportunities.
8 What I really want to point out here is that of the
9 three major formations, saline formations, oil and gas
10 fields and unmineable coal seams, saline formations
11 represent the single largest potential availability
12 for storage, long-term storage of CO₂, more than
13 oil/gas fields and unmineable coal seams combined.

14 Also important to point out is the broad
15 distribution of saline formation. What we are trying
16 to demonstrate and prove out, FutureGen 2.0 represents
17 the potential solution for the wide various or wide
18 variation of existing power plants as well as other
19 industrial CO₂ sources.

20 Finally I want to close with a little bit of
21 history of the FutureGen program. FutureGen was
22 originally conceived in the early part of the last
23 decade. It officially kicked off in March 2004 with a
24 report to Congress that identified FutureGen 2.0 as an

1 integrated research initiative with the objective to
2 establish feasibility and viability of producing
3 electricity from coal with near-zero emissions.

4 As many of you are probably aware, in December
5 2007 the FutureGen Alliance selected Mattoon, Illinois
6 as the location for IGCC with CCS. Early in 2000 --
7 well, in late 2007, early 2008 the Department of
8 Energy announced the cancellation of the original
9 FutureGen at Mattoon plant. The Alliance continued on
10 with engineering and development, continuing to
11 evaluate that project. Early in 2009, President
12 Obama, through the American Reinvestment and Recovery
13 Act, announced that the original FutureGen plant
14 intended to be located at Mattoon would be -- the
15 project would be restarted, and another locale would
16 be taken to evaluate the economic viability and
17 feasibility of the project.

18 Due to a number of issues including the
19 escalating cost of facilities similar to the IGCC CCS
20 at the Mattoon plant as well as the fact that at the
21 -- in the close of the last decade, the Department of
22 Energy had several other IGCC CCS programs, projects
23 under way, Secretary Chu announced that FutureGen 2.0
24 would be an alternative approach to achieve near-zero

1 emissions.

2 with that I will pass it to Mike Long, the
3 plant manager, who will further describe the technical
4 details of the Meredosia Plant.

5 MR. LONG: As Jeff said, I'm Mike Long.
6 I'm the plant manager at the Meredosia power station,
7 and this evening I would like to talk about Ameren
8 Energy Resources, who we are, Meredosia project, an
9 overview of that, and description of the
10 oxy-combustion technology.

11 Most of you are probably aware of Ameren. It
12 is a company that consists of three separate
13 companies; Ameren Illinois, Ameren Missouri and Ameren
14 Energy Resources. We are a merchant-generating
15 company. That means that the power plants that are
16 within our company do not have rate regulated
17 customers, but we sell our energy directly to the open
18 power market. Most, the majority, if not all, our
19 power plants are in Illinois, and we had 6,250
20 megawatts of generation, and last year we did generate
21 just shy of 30 terawatts of megawatt hours of energy.

22 When I say we are a merchant-generating
23 company, we do sell to municipalities and industrial
24 utilities and the like and others that are indicated

1 up on the slide here. The company that does that for
2 us is a company within AER called Ameren Energy
3 Marketing. They take energy that is generated at
4 Meredosia and sell it on the open market to us, to
5 these customers.

6 The project team for the power station portion
7 of this project, of course, is Ameren Energy Resources
8 who own and operate the power station. Babcock &
9 Wilcox are responsible for the boiler island and gas
10 quality control systems. Air Liquide is responsible
11 for the air separation unit which is at the front end
12 of the process and the compression and purification
13 unit which is on the back end of the process.

14 URS is a company that was hired by Ameren who are
15 responsible for the balance of the plant and
16 connecting that to the new facilities that will be
17 constructed as part of this power plant.

18 When I talk about balance of the plant, what I
19 am referring to is the turbine generator set and the
20 systems that support that will remain. Those are
21 current pieces of equipment that will not change as
22 far -- as part of this project.

23 Here we will talk about Meredosia a little bit
24 more specifically here. The picture that you see on

1 the screen is a picture of the plant. The left side
2 is a tall stack there. That is associated with units
3 1 and 2. Their primary fuel is coal. Units 1 and 2
4 have their operation currently suspended, so they are
5 not operating at this time. In the middle there is a
6 little taller stack on top of the building. That is
7 unit 3. Its primary fuel is also coal, and it is
8 operating at this time.

9 And then the unit that we are interested in
10 here tonight is unit 4. It has a yellow rectangle
11 drawn around it. Unit 4 was constructed in 1975.
12 This slide says it is currently idle. It is not on
13 today, but it could be put online. Its main fuel, its
14 main fuel is oil, and because of that it is not as
15 readily available to be dispatched on the market that
16 we find ourselves in, so it doesn't run a lot.

17 That's pretty much been the history of it
18 throughout its life, and for this project that is an
19 advantage because it has very low operating hours on
20 the turbine generator to supporting systems. The size
21 of unit 4 is also advantageous for this project. It
22 is a 200-megawatt plant, so it is the next logical
23 step from the research and development 30-megawatt
24 facility to the first commercial scale size which is

1 200 megawatts.

2 Okay. Very briefly, what is oxy-combustion?

3 The air that we breathe is approximately 20% oxygen
4 and 80% nitrogen, and in conventional power plants air
5 is mixed with fuel and combusts with fuel, and the
6 flue gas the results from that contains nitrogen, same
7 amount of nitrogen in CO₂. What oxy-combustion simply
8 does is remove the nitrogen and uses the oxygen that's
9 already in the air for the combustion process. As
10 part of that, the CO₂ after the process is
11 reconverted, is recirculated back to fill the volume
12 that was left by the nitrogen in the normal combustion
13 process.

14 If you look at the power station, it is
15 basically made of three parts not including the
16 turbine. So this will be the new portion of the power
17 plant that is being constructed in FG2. There is the
18 boiler island which is a new boiler and environmental
19 control equipment. This equipment, at least the
20 environmental control equipment, is very similar to
21 what is on conventional power plants today. It is a
22 bag house and a scrubber.

23 So if you look at the process at the start on
24 the front end as the air separation unit where it

1 comes in, nitrogen is removed, oxygen goes to the
2 boiler for combustion. The flue gas and CO2 from that
3 process goes to the environmental clean-up equipment
4 where ash and water and sulphur are removed. Some of
5 these -- recycled flue gas is recycled back into the
6 oxygen stream as we just discussed on the last slide,
7 and then the highly concentrated stream of CO2 from
8 this process goes to the compression and purification
9 unit where it is compressed and captured to the
10 pipeline to sequestration site.

11 I'd like to introduce Jeff Gordon from the
12 Alliance. Excuse me, Gordon Beeman.

13 MR. BEEMAN: My name is Gordon Beeman with
14 FutureGen Alliance. I'm the design and engineering
15 manager. I would like to send regrets from CEO Ken
16 Humphreys who could not be here tonight. I'm sure he
17 would like to be here to meet with you.

18 I'm going to talk about the alliance portion
19 of the project which is essentially the CO2 pipeline
20 and CO2 storage site.

21 A little bit about the Alliance. The Alliance
22 is a consortium of coal companies, electrical
23 utilities, equipment manufacturers who have come
24 together to pursue the option of clean coal, near-zero

1 emissions power plant and carbon storage. They were
2 formed shortly after the act, the report provided to
3 Congress that Jeff talked about and have been pursuing
4 these activities for quite some time.

5 The project concept is fairly straightforward.
6 As Mike described the Meredosia power plant, our plans
7 are to construct a pipeline underground from Meredosia
8 to the injection site. At the injection site we will
9 then put together the injection wells and monitoring
10 equipment and other equipment required to inject CO2
11 underground, and then we will inject it deep
12 underground into the Mt. Simon aquifer.

13 Project goals are really pretty
14 straightforward also. We want to demonstrate an
15 approach for siting, permitting, ensuring and
16 operating a CO2 storage site that is fully integrated
17 with an upstream power plant. Our intentions are to
18 store up to 39 million tons of CO2 over the life of
19 the plant. That is about 1.3 million tons per year.

20 We want to demonstrate a comprehensive set of
21 monitoring technologies and validation techniques
22 needed to account for the CO2 that's injected into the
23 ground and also to be able to understand and predict
24 where that CO2 is going when it is underground.

1 we will establish a visitor research and
2 training facility that advances the information and
3 research of carbon sequestration storage technology,
4 and we hope as a first-of-its-kind project to provide
5 a pathway forward to demonstrate to people that this
6 can be done and can be done effectively, it can be
7 done economically, and it clearly can be done safely.

8 Talk a little bit about CO2 pipeline and
9 wells. The CO2 pipeline is a 12-inch diameter
10 pipeline. It will be buried to a depth of four feet
11 deep. In agricultural areas it will be buried to a
12 minimum of five feet deep. We will stay at least 150
13 away from residences. Regulations require us to stay
14 50 feet away. We have made the decision to stay
15 further away than that. We will avoid sensitive
16 environmental features, and the CO2 wells, we will
17 minimize the footprint of these CO2 injection wells
18 and monitoring wells because we realize compatibility
19 with surface use is critical to the success of the
20 project.

21 So going forward, site selection, the
22 FutureGen Alliance has selected a site in Morgan
23 County near Jacksonville. That is the preferred site
24 for the CO2 storage facility. There are two

1 alternative sites that we're evaluating; Taylorville,
2 Christian County, Tuscola here in Douglas County. All
3 three sites are being analyzed by DOE, and an EIS will
4 be carried forward.

5 If you look specifically at what we believe to
6 be the geology that we are looking at here in Douglas
7 County, typically you are finding the well water is in
8 the upper zone. We have three geologic seals made of
9 shale to protect, to capture the CO₂, and then we have
10 Mt. Simon Formation that is down about 7,000 feet and
11 about 1500 feet deep here in Douglas County.

12 From the standpoint of the injection well,
13 there are a significant amount of monitoring
14 activities that are required to be done both from a
15 standpoint of things the Alliance wants to do and
16 things that will be required by our underground
17 injection control permit that will be issued by the
18 Environmental Protection Agency.

19 There will be -- excuse me. There will be
20 several monitoring wells that are placed down into the
21 formation to measure how the CO₂ is migrating and the
22 pressure of the CO₂, the pressures from the formation.
23 There will be other wells that will be shallower than
24 that to search for any CO₂ that potentially could be

1 coming out of the formation. There will be seismic
2 arrays placed in there to understand how the plume is
3 moving, and we will do additional 3D profiles, other
4 kinds of work to better understand the geology, better
5 understand the characteristics of the pore space so
6 that we can understand how the CO2 is moving.

7 So in summary, FutureGen will be the world's
8 first near-zero emissions clean coal power plant. We
9 will have a high efficiency of carbon capture on the
10 order of 90%. There will be near-zero levels of other
11 trace emissions. We will be fully integrated with the
12 power plant, with the pipeline and geologic storage.
13 This will allow the cleaner use of Illinois Basin
14 coal, will create construction and permanent jobs. It
15 will provide additional revenue for those landowners
16 whose deep underground pore space is used for CO2
17 storage. It will increase county revenue, and we will
18 construct a visitors education training facility to
19 the tune of somewhere between 25 and \$50 million in
20 the host community. Thank you.

21 MR. WHYTE: Okay. We are almost, almost
22 finished with the presentations. I'm going to speak
23 briefly on the National Environmental Policy Act.

24 The act, or NEPA as it is often referred to,

1 is more than 40 years old now, and it does apply to
2 all federal agencies. As projects or federal monies
3 are involved in projects, NEPA must be satisfied. It
4 is a national charter for the protection of the
5 environment and promotes the environmental
6 consideration in the decision-making process.

7 One of the central tenets of NEPA is providing
8 information to the public. It is important that
9 information be of high quality, it is accurate,
10 scientific information and that the expert agencies
11 have an opportunity to weigh in on the project. Those
12 might include folks like the State Historic
13 Preservation Office, US Fish and Wildlife Service
14 among others.

15 I appreciate the fact that there are a number
16 of state agencies that are represented here this
17 evening. We have turned out to answer any questions
18 that may come up, and, again, we appreciate having
19 them with us this evening.

20 Finally, most importantly is public
21 involvement to find out what are the concerns and
22 issues of the local folks who could be impacted by the
23 project.

24 In this particular project, an EIS or

1 Environmental Impact Statement, determination was made
2 in November of 2010. A Notice of Intent was published
3 in the Federal Register on May 23rd, and that
4 officially began the public scoping period, the
5 comment period which will last 30 days. That comment
6 period, again, will close on June 22nd, which is a
7 Wednesday, of 2011.

8 The Environmental Impact Statement, although
9 each one is tailored differently, they all contain
10 certain elements. Those include items such as the
11 purpose and need for the agency action, the federal
12 agency action, the proposed agency action and
13 reasonable alternatives, proposed project description
14 and description of project alternatives, description
15 of the affected environment. There is also analysis
16 of the potential environmental consequences, a list of
17 agencies, organizations and persons who were contacted
18 and finally public participation and responses to
19 public input.

20 As we have discussed with many of you on the
21 posters here this evening, FutureGen 2.0 is very early
22 in the EIS process. We are in the scoping period, and
23 as you will see, there will be eventually a draft
24 Environmental Impact Statement that will be prepared,

1 and it will go through another series of public
2 meetings and receive public comment on that document
3 before a final EIS and ultimately a Record of Decision
4 would be issued.

5 To give you an idea of the time frames that we
6 are projecting at this point, the draft Environmental
7 Impact Statement is likely to be published sometime in
8 the spring of 2012. Obviously shortly thereafter the
9 public hearing or hearings would be held and a final
10 EIS is then projected to follow in the fall of 2012.

11 Again, the purpose of the scoping meeting is
12 to invite comments and solicit input into the process
13 be that issues that you would like to see covered in
14 the EIS, certain data that you believe should be
15 collected, certain analyses that you believe may be
16 important to have performed and also just, in general,
17 stakeholder concerns.

18 On the comment forms that I referenced earlier
19 this evening, you will find all my contact information
20 which is up here and, again, a reminder that the
21 comment period closes June 22nd, although the DOE
22 will, to the extent we can, consider late comments.

23 Just a few logistics as we get to the formal
24 comment period. I believe we only have one speaker

1 signed up in advance, so I don't think that the
2 five-minute time limit is going to be applicable this
3 evening.

4 A transcript is being made, and although I
5 have the luxury of having your name up here before me,
6 the court reporter does not. So anyone who wants to
7 give comments this evening, I'll bring the microphone
8 to the podium, and I would ask that you begin by
9 spelling your name for the court reporter, please.
10 Also, if you are affiliated with a certain club or
11 issuing comments on behalf of a certain organization,
12 please clearly indicate that organization.

13 A copy of the transcript of this meeting will
14 be available online on the NETL web site in a few
15 weeks. It will also be a part of the draft
16 Environmental Impact Statement.

17 Just a reminder that this comment session is
18 not a question and answer session but is an
19 opportunity for you to express your comments, your
20 issues, your concerns on the formal record.

21 Please also note that we do have a court
22 reporter here this evening, so please try to speak
23 clearly and speak slowly such that we can incapsulate
24 all of your comments, and, again, we appreciate those

1 who are here this evening.

2 with that, the speaker that we have this
3 evening is Barbara Brehm.

4 MS. BREHM: Thank you. I'm a landowner in
5 the five mile, square mile area. My sisters and I own
6 about 1,000 acres in that area. Because I only had
7 two days notice, I don't have a PowerPoint
8 presentation for you, so I will just speak from my
9 notes I made today after I got here.

10 I thought the notice was very short and
11 somewhat repetitive. Between my sisters and I, we got
12 18 notices. I don't know if anybody else had that
13 experience that you got quite a few.

14 We are -- next year, we will be -- one of our
15 farms will be a centennial farm. The farm where I
16 currently live, my family has lived there for 53
17 years, and the test bore will be in the same section
18 where I live less than half a mile from where my house
19 is.

20 I have three concerns. Number one is property
21 values. If we sell gas or oil rights, our property
22 loses value. Will we lose value with this carbon
23 sequestration, I don't know. That's open. However,
24 if the pipeline does run through our land, we cannot

1 build any permanent structure either on the pipeline
2 or for -- I don't know what the easement is on this if
3 the pipeline goes through. It is like 150 feet.
4 Therefore, when you sell a piece of property that has
5 a pipeline going, the pipeline going across it, you
6 have lost value right there.

7 Number two concern is this is experimental.
8 There is the possibility of leakage to the surface.

9 I have a couple of quotes. One of them is
10 political. It is from Senator Dick Durbin from an
11 October 5th, 2010 meeting in Meredosia. He says,
12 although there is a possibility of property damage, he
13 told the group that's really a minor concern. It is
14 not a minor concern if you are a farmer.

15 But then he was assured by CEO Ken Humphreys
16 that the possibility of -- in that possibility,
17 FutureGen Alliance and its associated insurance
18 companies would cover the cost of the leak, and that
19 the individual landowner would not be held
20 responsible. That's really reassuring.

21 The other quote that I have is from
22 globalccsinstitute.com, and the question -- this is a
23 question and answer session.

24 Is it safe to put CO2 underground?

1 This is coming from the people who are
2 sponsoring it.

3 A strong body of research in years of industry
4 experience indicate that CO2 can be stored safely and
5 securely for a well-selected, designed and managed
6 geological site.

7 That's the catch for me. What about air?
8 Nuclear power plants are safe. Wow. Look at what
9 happened in Japan or China. I'm sorry. It is
10 somewhat my concern about public air.

11 It also says although some leakage occurs
12 upward through the soil -- I'm quoting again from
13 their site -- well-selected stores are likely to
14 remain more than 99% retained, more than 99% of the
15 injected CO2 over a 1,000-year period. So technically
16 it should be okay, but when we factor in human error,
17 I have a concern about it.

18 The third point is the cost of the pipeline.
19 Initially FutureGen was scrapped because it cost too
20 much. The pipeline, according to one -- and I was not
21 -- I don't have the specific official saying, but one
22 of the persons for FutureGen in Morgan County this
23 past winter said that the pipeline cost 1.5 to \$2
24 million per mile. Now, it is 96 miles further

1 according to the article here in Douglas County than
2 it is in Morgan County. So that comes out to about 1
3 and half to 200 million dollars more to bring it to
4 Douglas County. For these reasons, I am against
5 bringing carbon dioxide to Douglas County.

6 MR. WHYTE: Thank you. That was the only
7 speaker that we had signed up this evening. Is there
8 anyone here that would like to offer comments at this
9 time? You are welcome to come up. Anyone at all?

10 Normally we ask those that have spoken if they
11 have any additional comments. She just made it back
12 to her seat, so I'm going to guess you don't have any
13 additional comments at this time.

14 Okay. Well, thank you for your comments and
15 participation this evening, and remember that the
16 public comment period stays open for June 22nd, 2011.
17 We will continue to be around here for a short time
18 period back at the posters like we were before the
19 formal session and, again, attempt to answer your
20 questions and have further discussion.

21 This concludes the formal session of the
22 public scoping meeting for FutureGen 2.0. Let the
23 record show that this meeting adjourned at 7:50 p.m.

24 Thank you. (Off the record at 7:50 p.m.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

CERTIFICATE OF REPORTER

I, JENNIFER L. CROWE, a Certified Shorthand Reporter and Notary Public within and for the State of Illinois, do hereby certify that the foregoing proceeding was taken by me to the best of my ability and thereafter reduced to typewriting under my direction; that I am neither counsel for, related to, nor employed by any of the parties to the action in which this deposition was taken, and further that I am not a relative or employee of any attorney or counsel employed by the parties thereto, nor financially or otherwise interested in the outcome of the action.

Notary Public in and for
The State of Illinois